

BEFORE THE
SECRETARY OF ENERGY ADVISORY BOARD
NATIONAL IGNITION FACILITY TASK FORCE REVIEW
FIRST MEETING

November 16, 1999
Livermore, California USA
Day 2 of 2

BUNN & ASSOCIATES
Registered Professional Reporters Worldwide
2036 Adobe Avenue
Douglas, Wyoming 82633
In USA 1-800-435-2468 Worldwide 001-307-358-3222
Worldwide Telefax 001-307-358-2288
E-mail: BUNNORLDWIDE@compuserve.com

1 APPEARANCES:

2 Dr. JOHN McTAGUE, Chair
3 Partner
4 Covington & Burling
5 Washington, D.C.

6 Dr. ANDREW ATHY
7 Partner
8 O'Neill, Athy & Casey, PC
9 Washington, D.C.

10 Dr. ROBERT BYER
11 Director
12 Center for Nonlinear Optical Materials
13 Director
14 Hansen Experimental Physics Laboratory
15 Stanford University

16 Dr. GAIL McCARTHY

17 Dr. LAWRENCE PAPAY
18 Senior Vice-President and General Manager
19 Bechtel Group, Inc.
20 San Francisco, California

21 Dr. BURTON RICHTER
22 Paul Pigott Professor of Physical Sciences
23 Stanford University
24 Director Emeritus
25 Stanford Linear Accelerator Center
Stanford University

Dr. ROCHUS VOGT
R. Stanton Avery Distinguished Service Professor of
Physics
California Institute of Technology

Dr. JOHN WARLAUMONT
Director
Silicon Technology and Advanced Semiconductor
Technology Laboratory
Research and Microelectronics Divisions
IBM

24

25

1 APPEARANCES (Continued):
2 PRESENTERS:

3 Dr. JOHN McTAGUE, Vice-Chair
4 Partner
5 Covington & Burling
6 Washington, D.C.

7 Dr. JOHN MURRAY, LLNL
8 NIF Project Senior Scientist

9 Dr. ED ENGLISH, LLNL
10 NIF Associate Project
11 Manger for
12 Laser/Optical System

13 Dr. JEFF ATHERTON, LLNL
14 NIF Associate Project
15 Manager for Laser
16 Equipment & Optics Production

17

18

19

20

21

22

23

24

25

26

27

28

29

30

31

	I_N_D_E_X	
	-----	PAGE

1		
2	OPENING REMARKS	
3	By Dr. John P. McTague	316
4	LASER SYSTEM PERFORMANCE REQUIREMENTS AND ARCHITECTURE	
5	By Dr. John Murray	316
6	LASER SYSTEM ELEMENTS	
7	By Dr. Ed English	349
8	OPTICS DEVELOPMENT PLAN AND REQUIREMENTS	
9	By Dr. Jeff Atherton	392
10	PUBLIC COMMENT	
11	By Stephen Kelley	434
12	By Jacqueline Cabasso	436
13	By Marylia Kelley	440
14		
15		
16		
17		
18		
19		
20		
21		
22		
23		
24		
25		

1 BEFORE THE
2 SECRETARY OF ENERGY ADVISORY BOARD
3 NATIONAL IGNITION FACILITY TASK FORCE REVIEW
4 FIRST MEETING

5 Conference was held pursuant to Notice
6 and Invitation Conference Room A, Building 123,
7 Lawrence Livermore National Laboratory, 7000 East
8 Avenue, Livermore, California, USA, commencing on the
9 15th day of November, 1999, at 8:30 a.m. PT; resuming
10 on the 16th day of November, 1999.

11 TRANSCRIPT OF PROCEEDINGS

12 THE CHAIR: I, I guess we might as well
13 get started. I think we had a good, broad overview
14 yesterday to get us each oriented, and today we start
15 getting more into the details of various systems,
16 their performance requirements, and the, the
17 development plans.

18 The first item this morning is, is on
19 laser system performance requirements, and John
20 Murray -- Is John here?

21 Hi, John.

22 -- will get us rolling.

23 LASER SYSTEM PERFORMANCE REQUIREMENTS AND

24 ARCHITECTURE:

25 DR. MURRAY: Well, I'm going to go over

1 laser system performance requirements and some of the
2 architecture of NIF, and necessarily this will cover
3 many of the points, the same components that Ed
4 talked about yesterday, and Ed English will shortly
5 talk about. But we'll each give you sort of a
6 different cut through the important components.

7 Now, NIF, the baseline design for NIF
8 is to drive an indirect-drive X-ray target, 1.8
9 megajoules, 500 terawatts, and 350 nanometers. But
10 we have a very large number of other uses.

11 Direct-drive targets, where the laser
12 hits the target directly instead of giving you, used
13 to generate x-rays; a lot of weapons physics and
14 weapons effects experiments, which you heard about
15 yesterday from George Miller; and some basic science,
16 laboratory astrophysics, advanced hydrodynamics, et
17 cetera.

18 Now, the use, for the users, all we are
19 is a big power compressor. The neodymium absorbs
20 light from xenon flashlamps, it amplifies li-, it
21 stores energy for about 300 microseconds, amplifies
22 light at 1 micron.

23 We can extract that and compress it
24 into a volume less than a cubic centimeter and at
25 fluxes of 10-to-the-14 to 10-to-the-16 watts per

1 square centimeter. And it's the best available
2 laboratory simulations of conditions in a nuclear
3 explosion.

4 Now, we're pretty confident that NIF
5 will work because of the scientific prototype we
6 built, the Beamlet laser. And when I say
7 "scientific" prototype as opposed to an engineering
8 prototype, I mean this has all of the components in
9 it, but they are not at exactly the same size, spaced
10 in exactly the same positions, and put together the
11 same way.

12 Ed English will show you some
13 engineering prototypes later.

14 DR. BYER: John, is the --

15 DR. MURRAY: Yes.

16 DR. BYER: -- Beamlet laser still
17 operating?

18 DR. MURRAY: The Beamlet laser, laser
19 is being moved to the Sandia Corporation in
20 Albuquerque. It's being reassembled down there where
21 it will be used as a source for backlighting for some
22 of the pulse-power experiments they have down there.

23 The sort of pulse we need to make for
24 ignition targets is shown here. The actual pulse
25 hitting the target is this blue line meant to

1 indicate the fair harmonic.

2 There's a long, low pulse. Then
3 there's some carefully tuned features here that drive
4 shockwaves into the fusion capsule, and then we drive
5 a final, massive sho-, shockwave that causes the, the
6 major compression of the target.

7 These features have to be very
8 carefully tuned based upon our knowledge of the
9 equation of state of material in order to be able to
10 get the target to implode at the, symmetrically at
11 the minimum possible energy. Now, to generate this
12 pulse in blue, the pulse, the laser has to generate
13 in red, or the infrared, as it, as it looks like
14 this.

15 You'll notice that out here it's a
16 little bit more. There is, the ratio between these
17 two is a little bit higher because at low density the
18 frequency converters are not as efficient as they are
19 at high.

20 Okay, so we have to generate that 1.8
21 megajoules, and now the question comes: How big does
22 the laser have to be?

23 By the -- Before going into that, let
24 me say that we're talking about that pulse, but we
25 can actually operate over a much wider range in power

1 versus energy space. We like to plot these as power
2 versus energy because these lasers are scaled mostly
3 as: How much power do you demand out of the lasers
4 after you have extracted a certain energy? All
5 right?

6 So we have this area here can be
7 operated. We have this lighter green area out here
8 you can operate, but in that area you need to worry
9 about things like exactly what is the pulse shape?
10 What are the condition of the optics, et cetera?

11 And so if we can run peak powers up
12 here in the range of 700 to 800 terawatts for short
13 pulses, energies of a little over 2 megajoules out
14 here for longer pulses.

15 Now, we have designed the laser to
16 operate at a fluence of 8 joules per square
17 centimeter in the ultraviolet. And this shows a, the
18 damage histogram of a fused silica surface of a
19 pretty good manufacturer, but several years old;
20 probably not the best that can be done right now,
21 compared to 8 joules per square centimeter.

22 And you can see that as you start
23 running up the fluence, at around 11 to 12 joules per
24 square centimeter you start seeing damage, and then
25 it comes up and you get into the bulk damage

1 properties of the surface.

2 Now, a surface is nothing but a mass of
3 defects. You're going from a bulk material into air
4 and subsequently all you have on the surface is
5 defects.

6 The question is, does the finishing
7 process produce benign defects or not so benign
8 defects that damage at low effluence. We have two
9 issues here with designing that at this point.

10 One is there is some intensity noise on
11 the beam, and you don't want intensity noise on the
12 beam to get up into this main distribution of
13 defects.

14 The other issue we need to worry about
15 is, this is a distribution. You know, there is
16 always a tail, which comes down here to lower
17 fluence.

18 And those defects are very rare, but if
19 you damage them, you then have to worry about that.
20 Let me say at this point that this has a character of
21 another damage problem which we don't even talk about
22 anymore, and that is the laser glass itself, as you
23 know, is melted in platinum crucibles.

24 There is a little bit of dissolution of
25 the platinum into the glass because molten glass is

1 extremely corrosive, and under the proper, proper
2 chemistry you can precipitate out very small platinum
3 particles. All right, now the way we handle that is
4 we do 100-percent inspection of all the laser slabs.

5 We scan across these slabs at 14 joules
6 per square centimeter, and try to find something that
7 will explode. If we find particles, and I think it's
8 more than four or five per disk, we reject the disk.

9 Then if we find these four to five
10 particles, we sit on those particles for a hundred
11 shots, and if they grow to be bigger than 300
12 microns, then we throw out the disk. It's likely, in
13 my opinion, that we're going to have to be doing that
14 with UV optics also, even though that is an
15 additional expense and people don't like to do that.

16 But anyway, having come to 8 joules per
17 square centimeter, 1.8 megajoules at a fluence of
18 less than 8 joules per square centimeter means the
19 beam area is greater than 22 and a-half square
20 meters, which is about the area of the wall of this
21 room. So now we know what the total area is.

22 How are we going to divide it up?
23 Larger individual beam area means fewer beams, and
24 fewer beams, generally speaking, is cheaper.

25 You have less controls. You have less

1 assembly work. You have less mechanical parts, et
2 cetera.

3 The, the Beamlet project demonstrated
4 an amplifier at 39 centimeters and crystals at 37
5 centimeters. If you start getting too much bigger
6 than that it becomes difficult to get optics.

7 There are very few manufacturers who
8 will be, who will manufacture optics in that size,
9 and the performance of amplifiers and crystals and
10 such degrades, although fairly slowly, as you're
11 going up in size. So for NIF we chose the aperture
12 to be 40 centimeters and the effective beam area then
13 comes out to be 1,250 square centimeters.

14 You may say, "All right, 40 centimeters
15 squared is 1600. What happens here?"

16 First, the beam does not go straight
17 through the amplifier. It's a multipass system. The
18 beam moves a centimeter or so on the passes going
19 through the system.

20 Second, we can never ensure that these
21 amplifiers are exactly in the right place for the
22 beam to go through. So you have to have an alignment
23 tolerance around the outside to allow for
24 misplacement and allow for alignment of the various
25 different components.

1 And third, let's show what one of these
2 beams look like. We have to roll the intensity of
3 the beam smoothly to zero over a margin around the
4 outside in order to prevent diffraction from bringing
5 up intensity spikes on the edge of the beam as you
6 propagate through the system.

7 And this is a matter of, oh, about one
8 and a-half centimeters or so, and that cuts off the
9 beam. Also, we have to round the corners to prevent
10 diffraction spikes from coming in from the center.

11 So this is typically what a beam looks
12 like from Beamlet, and a histogram of what the
13 intensity distribution of that beam is.

14 And you can also see on here, although
15 it's not the point I was trying to make with the
16 slide, that if you model these things with a good
17 propagation code, you can predict very well what the
18 permanence is going to be.

19 Okay, now we know what size the beam
20 is, and what we find is that 22 and a-half square
21 meters of that area implies greater than 180 beams.
22 Now, what are we going to do with the beams?

23 We're going to illuminate an
24 indirect-drive target. And let me say all these
25 beams are ultraviolet.

1 The color on here is simply for
2 convenience in explaining the illumination geometry.
3 Typically what these targets look like is they're a
4 small metal cylinder about a centimeter long with a
5 fusion capsule in the center.

6 And we want to illuminate three rings
7 on the inside of that cylinder with roughly equal
8 energy in each of those rings. Now, the way that we
9 do that is we have two cones of illumination coming
10 in from each end, an inner cone from both ends, the
11 blue beams that illuminate this center ring, then an
12 outer, a red cone that illuminates this ring, another
13 green cone that illuminates this ring.

14 So, if we look down there, we want
15 twice as much energy in this red cone because it's
16 illuminating one full ring as we do in this blue
17 cone. Second thing we want is in order to get
18 adequate symmetry on the target, we want at least
19 eight groups of beams around this blue cone, all
20 right?

21 So if you look through that quickly and
22 you, and you see that if I go in groups of four
23 beams, which is extremely convenient for the
24 mechanical layout of the lasers, then I want eight
25 around here, 16 around here, 24 on this end, 24 on

1 that end, 48 times four is 192, and that is the first
2 convenient number for doing this kind of illumination
3 that's bigger than 180, and that's why it's 192
4 beams.

5 Now, we're using for NIF a mult-, a
6 multipass system rather than a master os-,
7 single-pass multi-oscillator power amplifier chain
8 such as Nova used because it greatly reduces the
9 number of parts, and thereby reduces the cost of the
10 system. The master -- Ed mentioned this yesterday,
11 so I won't spend too much time on it, but Nova, the
12 beam is taken out at a size of a centimeter or so.

13 It's split up with beam splitters and
14 puts down chains of amplifiers. It requires a lot of
15 components. It also requires a lot of alignment in
16 here.

17 In the case of NIF we have a master
18 oscillator which is all fiber optics, goes over fiber
19 optics distribution to a small preamplifier, and make
20 multiple passes through cavity and switch it out,
21 getting the effect of three amplifiers from this
22 single large amplifier.

23 Now, let's see, or let's go in further.
24 There are, as you see in here, those, those yellow
25 telescopes. In the case of the multi- there are a

1 lot of them. They look like they occupy about half
2 the system.

3 And here they look like they occupy
4 about, about half the system, and they really do.
5 And here you can see in the NIF design, for example,
6 here is one telescope, which is inside the laser
7 cavity.

8 Here's another one, which we call the
9 transport spatial filter, which is between the laser
10 and the target chamber. And why were they so big?

11 Well, basically what we are doing is an
12 image relay. In order to keep the beam uniform
13 intensity and with no diffraction spikes on it, you
14 want to go from image plane to image plane to image
15 plane.

16 This is exactly the same technology
17 that's used to take an image down a periscope to a
18 submarine, all right? But we have an image in the
19 amplifier where we want the beam to be uniform, and
20 we want an image in the next pass through the
21 amplifier or in the final optics.

22 Now, elementary optics will show you
23 that if this, there's no beam expansion here and this
24 spatial filter has a length of L , the distance
25 between those images is $2L$. You can slide them

1 around.

2 You can push this one back here and
3 then this one will push out. So you see, if I have a
4 distance L from this, if I have a certain distance
5 from this lens to the final optics assembly, for
6 example, this lens is going to have to be about the
7 same length as that distance from the final optics,
8 and that's why those filters are so big.

9 The other thing we do in here is we
10 attenuate high-spatial-frequencies noise on the beam
11 by passing the beam through a small aperture. And
12 that, it sounds very simple now.

13 Now, it has, however, some little
14 complexities, because that intensity in this point is
15 extremely high, so you have to worry quite a bit
16 about what those small apertures look like.

17 Just as a digression, we've looked at
18 several different varieties. You might think it was
19 just a simple washer drill, drill a hole in a metal
20 plate, but you generate plasma on the sides of this
21 hole.

22 That plasma closes in and tends to
23 block the tail end of the pulse when you're trying to
24 run these long pulses that extend for 20 nanoseconds.
25 Also you get some reflection on the front side of

1 that washer, which is not good.

2 You can get away with a lot of this by
3 staggering times so that the plasma does not stagnate
4 on axis, but in fact you get a much better
5 performance with a cone-shaped pin hole, a very
6 shallow cone like this where you try to reflect and
7 have grazing incidence on the sides of the cone.

8 These, these were actually designed
9 using one of the laser target codes, so that
10 illustrates that the codes are good for something.
11 For, for NIF they get a little bigger, since that
12 transport spatial filter is so long.

13 This happens to be one of them for the
14 NIF transport spatial filter. If you'd like to take
15 a look at it, it's very highly polished on the
16 inside, and that's how they do it. So what looks
17 like a simple pinhole is not always so simple.

18 Now, the NIF system, I think Ed showed
19 you this picture yesterday. We have the master
20 oscillator going over a fiber to the preamplifier.

21 We come through here, and we have the
22 amplifier split into two parts with this spatial
23 filter in between them. Now, you'll see what happens
24 is on the last pass out through the amplifier I go
25 through a section of amplifier to a spatial filter

1 here, go through another section of amplifier and go
2 on out.

3 Since I am attenuating the intensity
4 noise at this point, it allows us to run a higher
5 peak power than we could if we put all the amplifier
6 in one place. And that's the reason that it's split
7 into those two sections.

8 There's 11 slabs here, five here.
9 There's been some discussion of adding two more here
10 so you can get more energy with, about a half a
11 megajoule more energy with long pulses, but we'll
12 see. We haven't made a decision on that yet.

13 The path of the beam through here is
14 that it comes in, reflects here, goes through the
15 switch, hits this mirror, comes back, comes back
16 through the switch we just fired off, and comes back
17 out again and goes on through the target.

18 Now, what are the requirements on some
19 of these components? Well, we have an injection
20 laser system, a master oscillator, and 48
21 preamplifier modules.

22 The master oscillator provides
23 temporally shaped, modulated, and precisely timed
24 input pulses to this fiber distribution system. It
25 also frequency modulates the pulse for beam smoothing

1 and to suppress emulated Brillouin scattering. It's
2 something we have to worry about.

3 Brillouin scattering is a scattering
4 process where the light wave comes in, scatters from
5 an acoustic wave in the material, and it scatters
6 light sideways. It's also, by the way, it's also
7 extremely important in these optical fibers
8 communications networks.

9 So we have to frequency modulate the
10 beam to prevent that from happening in the large
11 optic. And we use hardware which is derived directly
12 from the high-speed fiber-optics communications
13 networks for this.

14 The beam then goes into the
15 preamplifier module, which amplifies and spatially
16 shapes the pulse in the fiber and provides about a
17 joule input pulse to each of four NIF beams. Now,
18 we, we make four passes through this.

19 And a question sometimes arises: Why
20 is it four? You know, why is it not two? Why is it
21 not six, or some larger number?

22 And the answer is: If I make four
23 passes through this, I've driven that preamplifier
24 size down to be about a joule. If I made only two
25 passes through this system, which would be in some

1 cases, in some ways easier to lay out, that
2 preamplifier, has to be about 100 joules.

3 Therefore, that preamplifier gets much
4 larger, more expensive. So going less than four
5 passes is a problem.

6 Now, why don't we go more than four
7 passes and drive this down even smaller? Well, first
8 thing is, it doesn't get very much cheaper.

9 The second thing is that multipasses
10 through a system like this have other problems. For
11 example, when I read, when I go through this and I
12 look at the distortions in all of these components,
13 I'm reading them coherently on the multiple passes.

14 So, instead of adding in RNS sense, as
15 they usually read, I read in an optical sense,
16 system, they add lineally. At some point those get
17 quite severe and they're hard to control.

18 Second, multiple passes in a system
19 that stores a lot of energy and has a high gain is a
20 dangerous situation. It's very difficult to control
21 parasitics and stray light in such a system, for
22 example, and that's one of the things that this
23 switch has to do.

24 But, for example, here I have a cavity
25 spatial filter, there's hardware down in here, and

1 here I have a lot of gain. Well, suppose somebody
2 misaligns a little baffle down there so it's close to
3 being parallel to that mirror?

4 Well, you can do some serious
5 metalworking that way, all right? Because this thing
6 takes off as parasitic oscillations between that
7 mirror and the baffle.

8 This one's from Beamlet. You can see
9 it there. And that can be a problem.

10 Okay. The amplifier, what we have to
11 do with the amplifier is store enough energy to allow
12 about 20 joules per square centimeter to be
13 extracted, and position the amplifier slabs to allow
14 high-peak power operation. That's why they're in two
15 groups, as I said before, have beam distortion
16 consistent with NIF requirements, and allow one full
17 system shot every eight hours.

18 And to do that we need 16 slabs of, of
19 neodymium-doped phosphate glass. And you've seen
20 what these amplifiers look like. And Ed English will
21 show you in more detail, so I think I will not go
22 through that.

23 We also have that pockel cell switch,
24 which is a plasma electrode pockel cell. There is
25 continuous plasma on both sides of the crystal which

1 charge the surface of the crystal, and there's some
2 sophistication as that is to go into this, too.

3 For example, I'm sure you know that
4 when you have these plasmas, you get some sputtering
5 of material from the electrodes. Well, if that
6 sputtered material is metal, for example, and gets on
7 crystal, it reduces the damage thresholds of the
8 crystal.

9 And that's not desireable, so you have
10 to be a little bit sophisticated about it. These
11 cathodes and anodes are made of carbon.

12 The gas in here is helium plus a small
13 amount of oxygen. And when you do that, anything
14 that's sputtered comes off as carbon monoxide and CO2
15 and gets pumped out.

16 Now that switch has to rotate the beam
17 polarization to switch the laser pulse out of the
18 system at less than 100 nanoseconds. It has to block
19 stray light propagation before and after the pulse to
20 get around some of these stray light problems of the
21 multipass.

22 It doesn't kill them all, but it gets a
23 lot of them. And it has to be very high efficiency
24 and high reliability.

25 And you know it's high reliability

1 because otherwise an engineer would never bring one
2 down and put it in the lobby of a public meeting,
3 right? It's out there working now.

4 Oh, yeah, I just happen -- I had it in
5 the wrong place here, but other stray light problems.
6 Stray light is a big issue.

7 Ed mentioned the ghost beams. We have,
8 we spend hours and hours ghostbusting trying to find
9 where all of these things go.

10 We get a lot of reflections back from
11 things like the frequency converter out here. That's
12 an example of what happens if you, if you are not
13 real careful with where some of those reflections go.
14 That was from the Novette laser a few years ago.

15 Now, going to the frequency converter,
16 we use plates of KDP crystal to convert the frequency
17 to the ultraviolet. The way that process works is we
18 come in with the red light polarized horizontally
19 into a crystal.

20 We convert by a phase-match frequency
21 conversion two-thirds of that light into the green,
22 the second harmonic of the crystal, which you adjust
23 by how thick the crystal is and exactly what angle
24 it's tipped at. Then we go through a second crystal
25 which mixes together the remaining red and the green

1 to give this ultraviolet light.

2 And although that sounds like magic it
3 does in fact work quite well, and we can get
4 efficiencies up to about 80 percent for conversion to
5 that third harmonic. And just a note here at the
6 bottom to show that in large beams, 30 centimeter and
7 34 centimeter on Beamlet, we have done this at
8 fluences of slightly over 8 joules per square
9 centimeter.

10 These crystals for this bigger beam
11 were not of this high crystal quality as for the
12 smaller beam, so they didn't get up to high enough
13 efficiency, but if you, that high efficiency, but if
14 you have a little extra drive in the red part of the
15 laser you can indeed push them up to the necessary
16 fluence.

17 Now, the NIF final optics assembly, as
18 shown here, has a vacuum window in the red beam
19 because damage is much less of a problem in the red
20 part of the spectrum than it is in the ultraviolet.
21 It then has this frequency converter, a focus lens, a
22 place to put some diffractive optics plates to do
23 specialized science to this target spot, and I'll
24 show you one of those in a minute.

25 And then it has a debris shield which

1 separates this clean environment of the third
2 harmonic optics from the dirty environment of the
3 target where the target is being evaporated and
4 various metals, plastics, and whatever, are being
5 deposited on the sides of the chamber.

6 Now, you notice over here it says,
7 "Argon beam tube." We have to fill the beam tubes
8 between the spacial filter and the target chamber
9 with argon because at the intensities we're running,
10 the the rotational Raman scattering at air is
11 sufficiently severe that the beam won't go but about,
12 oh, 75 or 100 feet, and we have to go further than
13 that.

14 We, the physicists, would like helium,
15 but the engineers don't like it. It's hard to keep
16 helium in the tube.

17 So, anyway, we have this system here.
18 This debris shield collects garbage from the target.

19 That is its purpose in life, and
20 consequently this has to be changed frequently.
21 We're planning on changing them about once a week.

22 Now, NIF, as I said, has to be very
23 flexible to accommodate the needs of users. We've
24 talked about energy and power, but we have users that
25 want the smallest possible spot so they can do high

1 temperature.

2 And you saw some of those experiments
3 and talks yesterday. We want, we have users who want
4 beam smoothing to give very uniform intensity on the
5 spot so there are not a lot of spikes and intensity
6 on the target.

7 They want very flexible pulse shaping,
8 as you've seen from those ignition targets. They
9 want to do direct-drive fusion targets, and there are
10 a wide variety of other requests: placing targets
11 substantially off-center in the target chamber for a
12 Robitzsch-like experiments; putting big objects
13 inside the target chamber, et cetera.

14 Now, we have demonstrated on Beamlet,
15 and will install on NIF, adaptive optics, a
16 deformable mirror, in order to get much higher beam
17 quality than was typical for the Nova laser or
18 earlier lasers. And this just shows a typical focal
19 spot broken up into a large number of speckles here.

20 With the adaptive optics it looks much
21 better. Now, I will have to say that what, these,
22 these spots usually come out as what we call a "fried
23 egg pattern."

24 There's a nice yolk in here, and you
25 can sort of see that around the outside of it there

1 is a thin, not-so-intense white of the egg. About
2 half the energy is in that high-quality spot, or the
3 spireo (phonetic) ratio is .4, for those who are
4 interested in ultimate detail. And there is still
5 some energy not in the high-quality spot.

6 We want -- We have users who want beam
7 smoothing. Here's another one of those fairly ugly
8 spots. That one is from the Nova laser.

9 We can put in a diffractive optics
10 plate which breaks up the beam effectively into a lot
11 of smaller beam areas, which then interfere with each
12 other and give a speckled pattern which has uniform
13 average intensity but a lot of high-frequency
14 modulation on it.

15 We can then take that pattern and
16 jiggle it sideways -- In time you can see where the
17 lines and some intense speckles appear in there. --
18 and get very uniform intensity over the central
19 region of the spot here.

20 That process is called "smoothing by
21 spectral dispersion," if you see that term anywhere.
22 And it gives us greater uniformity.

23 You can still see some structure here
24 from the one-dimensional jiggle. And if you jiggle
25 it in two dimensions you can get rid of that

1 structure and get even smoother spots. And some
2 users want to do that also.

3 Concerning the flexible pulse shaping,
4 we did request, although we showed you a 1.8
5 megajoule ignition target pulse before, there are
6 some more advanced target designs with slightly
7 higher energy but longer pulse that give higher
8 fusion yields to those ignition targets.

9 There are people who want to do very
10 high temperature experiments, and to do very high
11 temperature it's important that the pulse rocket up
12 to its peak power in less than 200 picoseconds, and
13 we also have been able to do that.

14 We also have people who want squarer
15 pulses that are maybe 5 nanoseconds or 3 nanoseconds
16 long who may want a pulse here, another pulse here,
17 and then a pulse at the end, et cetera. And the
18 pulse-shaping system has to be flexible enough to do
19 that, and is flexible enough to do that.

20 But, we can't give everybody everything
21 they want, so there are many, there are certain
22 upgrades that we have designed the system so that
23 they will be easy to implement but they're not
24 included completely in the project.

25 For example, in the direct-drive

1 targets we have included ports in the right place on
2 the target chamber to do that. We have included
3 space for doing this two-dimensional beam smoothing,
4 which they want.

5 We have included space for more complex
6 frequency conversions which they, converters, which
7 they may want, but what we have not done is actually
8 buy the hardware as part of the project to fit in
9 those spaces. And there are other cases for our
10 weapons effects users and such where similar choices
11 have been made.

12 Well, so where I'd like to leave you
13 here, then, is that Beamlet has demonstrated that the
14 NIF technology was ready for final engineering
15 design. The large multipass laser will perform as
16 designed.

17 Amplifiers, switches, and frequency
18 converters are a few centimeters smaller than NIF at
19 performance levels that are required for NIF have
20 been demonstrated. The master oscillator and
21 preamplifier technology proposed for NIF performs
22 very well.

23 Adaptive optics can give us high beam
24 quality. And the simulation codes which we use to
25 predict the performance of the system can predict

1 that performance very well.

2 And also many other features of the NIF
3 design. I showed you some pinholes that are beam
4 dumps that are important here.

5 If something goes wrong and you have to
6 dump 20 kilojoules of light on, on a very small
7 object, how do you do that safely? That's not
8 proven.

9 Alignment for the system was tested.
10 Diagnostics for the system, et cetera.

11 And now Ed English will tell you the
12 state of that detailed engineering design. Are there
13 any questions?

14 THE CHAIR: What's your biggest
15 challenge at the moment?

16 DR. MURRAY: The biggest challenge. I
17 would say the biggest technical challenge is damage
18 to the third harmonic optics.

19 We can get there, but we have to be
20 very careful with those optics, and we also have to
21 be very careful to keep them clean.

22 DR. VOGT: Can I get something from
23 you.

24 DR. MURRAY: Yes.

25 DR. VOGT: You mentioned here the

1 direct drive, what it included and didn't include.
2 Does it mean you can do direct-drive things with a,
3 with a first system? I mean, --

4 DR. MURRAY: What it means is that in
5 order to do direct drive with the system you will
6 have to install some additional hardware, and you
7 would have to move some of the final optics and
8 sundries, or buy new ones.

9 DR. VOGT: But you can do it in the
10 existing target chamber; --

11 DR. MURRAY: You --

12 DR. VOGT: -- you don't need a new one?

13 DR. MURRAY: You can do it in the
14 existing target chamber. You don't need a new one,
15 right.

16 DR. VOGT: The, the other question I
17 had is you mentioned the debris shield, you are
18 planning on moving it about once a week. What number
19 of shots does this assume?

20 DR. MURRAY: It assumes one shot every
21 eight hours for five or six days, so that's in the
22 order of 20.

23 DR. WARNER: What, what, what spot size
24 do you want out of NIF?

25 DR. MURRAY: Spot size? Well, for the

1 fusion targets they want a spot size of half a
2 millimeter. For some of the high-temperature targets
3 they want as small as possible.

4 DR. WARNER: So, so does the flexible
5 mirror performance of beamlet meet those
6 requirements? You talk about having, you know, so
7 much of the intensity in the central spot and half
8 the intensity outside of the central spot?

9 DR. MURRAY: I think the answer to that
10 is that the better it is, the more capable
11 experiments could be done. That is adequate to do
12 highly capable experiments.

13 If it were better, they would use it.
14 If it were worse, they would use that, too.

15 DR. WARNER: But I take it the
16 performance you got for Beamlet, --

17 DR. MURRAY: Yes.

18 DR. WARNER: -- does that give you the
19 specified target power?

20 DR. MURRAY: Yes, it is, it does.

21 DR. WARNER: And then I can ask another
22 question about the -- Figure out my notes here. The
23 doubling.

24 You had this, you showed that as you
25 increase the power in your, in your frequency

1 doubler, the efficiency went down?

2 DR. MURRAY: Yes. If you go to very
3 high power, your efficiency turns over and goes down.

4 DR. WARNER: Where is the, the NIF
5 power on that efficiency?

6 DR. MURRAY: Let me find it here a
7 minute. Now, the, the NIF power, if you take one of
8 those highly shaped pulses, of course it varies all
9 over the map, but its peak is in three gigawatts per
10 square centimeter.

11 Now, if you take other pulses and you
12 take some of those shorter pulses, they may peak up
13 out here at higher, around four gigawatts per square
14 centimeter, or five. One thing which is not in this
15 is that you can change the shape of these curves a
16 little bit by slightly aligning these crys-,
17 misaligning those crystals. So you can accommodate
18 some of that.

19 DR. MOSES: Can I just add a little
20 thing on that? Since at ignition pulse you start at
21 very low energy for a long part of the pulse, you're
22 down at the low margin of efficiency.

23 DR. MURRAY: Down in here.

24 DR. MOSES: Then as you go up to that 3
25 and a-half nanoseconds at peak, you move up to

1 optimum, optimum conversion. So when John says,
2 "It's all over the place," it means it's, depending
3 on the exact pulse shape, you're moving
4 instantaneously through that conversion efficiency
5 rate.

6 DR. MURRAY: Yes, I'm sorry if it was
7 not clear, that's precisely what I mean.

8 DR. MILLER: If you remember John's
9 original viewgraph on the pulse shape, he showed a
10 pulse shape at one at 1 Omega and a different pulse
11 shape at 3 Omega. That's why the pulse shapes are
12 different at 1 Omega.

13 You know the pulse shape you want at 3
14 Omega, and you procalculate what, actually all the
15 way back to the master oscillator. So you propagate
16 that pulse back through the system so you get the
17 right thing at the end, taking all this into account.

18 DR. MURRAY: Yes, the, point, the
19 point that I did not make on that viewgraph is if you
20 go all the way back to the master oscillator, it, the
21 pulse shape looks even very different from this
22 because the system is saturating. You're extracting
23 energy, so the gain in the system at the tail end of
24 the pulse is very much less than the gain at the
25 beginning.

1 And consequently the master oscillator
2 pulse has to rise at the end to compensate for that.
3 But this is the track they were talking about.

4 The conversion efficiency is low here.
5 The conversion efficiency is high here.

6 DR. WARNER: I guess, I guess what I
7 don't understand if you go going back to that other
8 chart is that as you dropped, as you increase the
9 power per square centimeter your conversion
10 efficiencies dropped.

11 DR. MURRAY: Yes. In fact, --

12 DR. BYER: You're back-, --

13 DR. MURRAY: -- it does.

14 DR. BYER: -- you're back-converting on
15 the harmonic process, Joe.

16 DR. MURRAY: It, it goes up -- It is a
17 phase matched harmonic process. It converts over in
18 theory fully --

19 DR. WARNER: And back.

20 DR. MURRAY: -- to the third
21 harmonic, --

22 DR. WARNER: And goes back.

23 DR. MURRAY: -- and then it starts
24 going back again. It sinusoidally varies if you go
25 through there.

1 DR. MOSES: Actually it would go back
2 to all --

3 DR. MURRAY: It would -- Yeah, it
4 would --

5 DR. MOSES: All the way to 2 Omega, 1
6 Omega.

7 DR. MURRAY: -- all go back if you, if
8 you, if you went the proper thickness through the
9 crystal.

10 Now we tune the, the angles and the
11 thickness to give the best dynamic range for the
12 particular class of pulses that we're trying to run.

13 DR. MOSES: Yeah, actually this is
14 another very interesting design issue. You know, if
15 you were just designing a facility for a,
16 high-temperature hohlraums or for ignition, you could
17 pick, you know, a better, you know, more perfected
18 optimization for that design.

19 But what John and the Laser Design Team
20 has done is worked on a conversion that meets all of
21 those needs nearly optimally.

22 DR. MURRAY: Yeah, this is, this is a
23 compromise solution which is not -- I mean, if I
24 wanted to make only pulses that ran exactly 4
25 gigawatts per square centimeter, the frequency

1 converter would be different from this. It would be
2 different thicknesses, different angles, et cetera.

3 But it could not perform as well when I
4 get down to these low-end frequencies. And we need
5 to have a compromise which is useful over the entire
6 range of intensities we need to run. Okay?

7 THE CHAIR: Thank you.

8 DR. MURRAY: Thank you.

9 THE CHAIR: Now, Ed English.

10 LASER SYSTEM ELEMENTS: (9:13 a.m. PT)

11 DR. ENGLISH: Well, good morning. I'm
12 Ed English.

13 I thought before I start into my talk I
14 might say a few words about who I am. I have a
15 Bachelor's Degree in Physics from Purdue University,
16 and I received my Ph.D in optical engineering from
17 the Institute of Optics at University Rochester in
18 1988.

19 Came to work here at the laboratory
20 then 11 years ago working first in the Atlas Project
21 for about four or five years where I was the optical
22 design group leader. Then came over to the ICF-NIF
23 Project, where I've been for the last five years, and
24 have been with NIF since its inception, working first
25 as the optical system engineer, then a manager for

1 the optical mechanical systems, and now as the
2 Associate Project Manager for the laser and optical
3 system.

4 I'm going to talk about some of the
5 equipment that is in that system, kind of a, a tour,
6 if you will, of what some of these pieces of hardware
7 look like that address the, the physicist's ideas
8 about the laser system that we're trying to put
9 together for the target experiments.

10 I'm going to principally talk about two
11 subsystems.

12 Is there a pointer up here somewhere?
13 There it is.

14 DR. MILLER: Yeah, it's right over
15 here.

16 DR. ENGLISH: Ed talked about this a
17 little bit I think yesterday when he talked about
18 functional system descriptions. The two systems that
19 I'm going to talk about are the laser system, which
20 resides in the laser bay, -- There are two laser
21 bays. -- and then the target optical system.

22 I'm going to walk you through first
23 the, the main engines, I like to call them, of the
24 laser system. That's the injection laser, the
25 amplifier, and the final optics. These are the

1 things that, that make the laser light, amplify it,
2 and convert it.

3 Then I'm going to walk through some of
4 the pieces of beam transport hardware, the, the
5 elements that get light from one place of the
6 building to another place and in the proper format.

7 One of the things that you've been
8 seeing and heard about are line-replaceable units.
9 Probably have seen this chart before.

10 There are roughly 4,000
11 line-replaceable units in the laser and optical
12 system. This is a map of many of the large-aperture
13 optomechanical systems.

14 These are the things that really are
15 the, the laser system. Or I should be a little more
16 accurate. These are the things that hold the things
17 that are the laser system.

18 Just after I talk, Jeff Atherton --
19 This is after the break. -- is going to talk to you
20 about the optical components. Those are the pieces
21 of glass that actually touch and are the optical
22 system.

23 So, the optomechanical systems, the
24 mirror systems, lens systems, amplifier systems,
25 pockel cells, final optics, those are the things that

1 I'm going to be talking about.

2 First I'm going to start with the, the
3 laser at the front end. This is the injection laser.

4 It physically resides in two places.
5 The oscillator is in t central core of the building,
6 and the preamplifier modules reside under the
7 transport spatial filter.

8 Now, yesterday I believe Ed showed you
9 a demonstration unit of the, of the master
10 oscillator. This is a slightly mocked-up version --
11 I think you saw this yesterday, right? -- of the, of
12 the real master oscillator which is sort of about a
13 foot by 2-foot-wide breadboard.

14 What you see here is an assembly that
15 goes in a chassis that becomes mounted in a rack. So
16 this is the chassis.

17 In fact, yesterday I was down in the
18 basement of Building 381 where the, the team is
19 putting this master oscillator together. This
20 currently resides in the rack.

21 It's operating. There's a pump diode,
22 about 100 milliwatts, that pumps a distributed
23 feedback laser that produces the initial light for
24 the laser. This is a CW system at this point.

25 After it leaves, leaves the master

1 oscillator it goes through a stage of amplification,
2 phase modulation for both stimulated Brillouin
3 scattering suppression and for smoothing by spectral
4 dispersion, the initial 17 gigahertz for that.

5 The, the, the pulse is chopped into a
6 30-nanosecond basically square pulse, amplified, and
7 fanned out to the preamplifier modules. This is
8 where the actual pulse shape is generated.

9 John showed you the, a couple of the
10 pulse shapes. I just wanted to show you some
11 experimental data using the actual pulse-shaping
12 system for NIF to show that we can generate the kinds
13 of pulses, and have demonstrated that we can, can
14 actually generate these, these pulses, and they meet,
15 they meet the requirements for both the, the
16 indirect-drive pulse, the short pulses, sort of, this
17 is a programmable computer-controlled system.

18 I should emphasize, this is all based
19 on -- And maybe you can sort of tell from the, the
20 model and from the pictures. It's really standard
21 telecommunications fiberoptic technology.

22 We've customized it to our particular
23 wavelength, so the doping is a little bit different,
24 but it's, it's the same kind of thing that you buy if
25 you're putting up fiber optics to run under the ocean

1 or across the country.

2 In fact, the amplifier for the
3 oscillator comes in a kit from a company, and you put
4 it together with the amplifiers, the pump diodes,
5 the, the couplers and things like that.

6 It won't look like oscillators in, in
7 past ICF systems. It's really a rack-mounted thing,
8 as, as Ed described.

9 So this single master oscillator is
10 split out, fanned out into 48 separate inputs which
11 feed preamplifier modules located underneath of the
12 transport spatial filter, 48 which will later be
13 split four ways each to get to the 192. The output
14 energy delivered to a preamplifier module is sort of
15 an order of nanojoule, so it's a very low-energy
16 pulse, but with the right spectral and temporal
17 characteristics.

18 The preamplifier module is going to
19 multiply that energy by a factor of ten to the tenth.
20 There are cer-, to major subsystems to the
21 preamplifier module.

22 One is on the back side of this
23 photograph. It's called the regenerative amplifier.

24 I think in computer-aided model
25 yesterday you saw a pulse going back and forth 30 or

1 40 or 50 times. The regenerative amplifier has a
2 gain of about ten to the seventh.

3 It takes the pulse from a nanojoule up
4 to about 10 millijoules. Then that three- or
5 four-millimeter diameter Galoisian beam is expanded
6 up to the proper format for the preamplifier module.

7 The multipass amplifier here, there's a
8 four-pass amplifier here based on Nova rod amplifier
9 technologies, a five-centimeter rod. This unit is
10 about, sort of 3-foot by 14-foot long.

11 It weighs about what a car weighs.
12 It's a line-replaceable unit.

13 This complex electro-optical system is
14 aligned off-line, tested, evaluated, and then gets
15 installed into what's called the PAS, which is a
16 preamplifier support structure, underneath of the
17 transport spatial filter.

18 The output from the preamplifier module
19 then is about 10 to 20 joules. Remember, this is
20 going to feed four beam lines.

21 The indirect-drive requirement is about
22 a joule per beam line. There are losses in the
23 transport system after this.

24 And another feature of the preamplifier
25 system is to shape the pulse spatially. And you'll

1 be able to see why this is when I talk about the
2 amplifier, the main amplifier in a moment.

3 So the preamplifier module, a prototype
4 of which was built and tested a year ago, was shown
5 to meet its requirements in terms of the energy
6 performance. The stated specification was 17 joules.

7 And here's a photograph of the near
8 field of radiance profile. It's about a
9 30-millimeter beam.

10 And one thing you should note here is
11 that it's slightly more intense on the edges than in
12 the center. So the, the input pulse to the main
13 laser is shaped in its irradiance profile.

14 And that addresses some nonuniformities
15 in the gain of the main laser amplifier. I'll show
16 you that in just a few moments.

17 The, the principal activity in the
18 preamplifier module at this point in time is readying
19 a procurement package to go out for acquisition from
20 an integrated, what we call an integrated contractor.
21 We're pursuing a path, and we've been developing this
22 for, I think, about the last six months or so, to
23 having an outside vendor, essentially, provide to us
24 a working preamplifier module.

25 So, working through this strategy, in

1 the last few months we have formally surveyed and
2 selected, down-selected to 13 possible suppliers,
3 based on a number of criteria. Have they built large
4 electro-optical optomechanical systems before? Do.

5 They have optics neutrology capabilities?
6 Do they have systems to manage the material that will
7 go into that?

8 In August we held a prebidders'
9 conference inviting those suppliers here for a
10 discussion. Presented a draft statement of work.

11 Got some very good feedback from that
12 which is being incorporated both into our strategy
13 and into the preparation of the documentation. And
14 so the engineering and documentation teams are doing
15 that right now.

16 There's a rigorous internal review of
17 what our documentation package is. This is drawings,
18 tolerances, specifications, test procedures, and so
19 forth.

20 And our goal is to issue requests for
21 proposal for this, for, for the first articles of
22 this module in the next few months, with those
23 articles being received then about a year later, so
24 that would be early 2001.

25 DR. VOGT: What would be the size of

1 such a contract, roughly?

2 DR. ENGLISH: For the first articles, I
3 should mention our strategy right now is to award two
4 contracts for our first articles, so we would have
5 two vendors. Those, that would sort of be of an
6 order of a \$1-million-type contract, maybe a little
7 more, because for the initial article there's some
8 nonrecurring engineering and so forth.

9 DR. VOGT: And after that?

10 DR. ENGLISH: The, the estimates for
11 production costs on these units range from sort of
12 \$500,000 to \$1 million. So there will be 48 of these
13 preamplifier modules for the NIF laser.

14 Okay, so that's the first engine that
15 I'd like to talk about, the injection laser system
16 providing the initial pulse injected into the
17 transport spatial filter. Now I want to talk about
18 the main laser amplifier system.

19 Amplifiers here and here. Capacitor
20 bays, there are four.

21 Injected pulse, sort of about a joule
22 per beam line, amplified up to about 16 or 18
23 kilojoules in the, in the main laser system at 1
24 micron. This is the, an engineering picture of what
25 the basic building block of the amplifier is.

1 This gives me a couple of opportunities
2 to talk about the NIF laser architecture from an
3 engineering standpoint. See that slabs in this case,
4 laser slabs are stacked four high and two wide.

5 That's a basic unit that we call a
6 "bundle," a 4-by-2. And in NIF there are 24 bundles,
7 so that's sort of the basic laser increment.

8 You'll notice here that these are
9 packed relatively close together. That's for
10 efficiency and cost.

11 We're trying to pack this gain into a
12 relatively small volume for a couple of reasons.
13 One, the flashlamps, which are on the outer side and
14 in the interior, -- And by the way, on the back table
15 is, is a flashlamp. -- by packing these slabs close
16 together, the flashlamps don't have to be as long.

17 That causes a number of mechanical
18 engineering problems not only in this assembly, but
19 actually throughout the laser system. And I think
20 you'll see that as I talk about some of the other
21 optomechanical components. The pieces of glass are
22 very close together.

23 DR. MOSES: Ed, I can't help it. I
24 think people really have to look at --

25 DR. ENGLISH: Yeah, you got to take

1 been a consolidation.

2 DR. BYER: There's one company now,
3 EG&G.

4 DR. ENGLISH: One company, EG&G, for,
5 for -- And they are the flashlamp vendor for NIF.
6 The, the award of the contract for the flashlamps
7 was, was made in the last month or so for the first
8 half of the flashlamps for NIF.

9 THE CHAIR: What's their life expected
10 to be?

11 DR. ENGLISH: Flashlamps? I believe, I
12 believe it's the facility lifetime, 20,000 shots.

13 DR. WARLAUMONT: Will you explain the
14 gas flow a little bit?

15 DR. ENGLISH: I'll try. This is not my
16 area of expertise, but flash-, the flashlamps need to
17 be cooled in order to achieve the short turnaround
18 time that's a requirement of the facility. That's
19 the eight-hour shot time.

20 So I won't get this right on this
21 picture, but nitrogen is flowed into a flashlamp
22 cavity and up through the adjacent one. And that's
23 repeated for this module.

24 And in the main laser there were 11
25 slabs in a row, so there were six of these there and

1 three of these modules, these 4-by-2-by-2 modules in
2 the power amplifier, so that the gas system delivers
3 through this --

4 This is also an electrical insulator.
5 It has a, cavities for the gas plenum as well as for
6 attaching the, making the electrical connections to
7 the flashlamps.

8 I don't know. That's probably about as
9 good as I can do right here. If you, if you want
10 some more detail I can certainly get it.

11 DR. WARLAUMONT: That's good.

12 DR. ENGLISH: So, in, in, in one of
13 these modules there are 40 flashlamps, 16 laser
14 slabs. The next viewgraph, we've already shown you
15 the flashlamp itself.

16 These are, these are about
17 13-times-larger flashlamps than were used on, on
18 Nova.

19 Let me talk about the power
20 conditioning system for just a moment. Let's bring
21 you back to geography here.

22 Capacitor Bays 1, 2, 3, and 4, these
23 are where the power conditioning modules reside.
24 These provide the electrical energy which drive the
25 flashlamps.

1 Now, working with Sandia, in fact
2 Sandia National Laboratories designed, built, and
3 tested a first-article NIF transmission module.
4 That's what this is a photograph of.

5 There are 192 of these modules in NIF.
6 There are eight per bundle.

7 Contains 20 capacitors. There are
8 capacitors on either end here.

9 Fired through a, a discharge switch up
10 into 20 transmission lines which connect to 40 lamps.
11 Each transmission line is connected to two lamps in
12 series.

13 So this first article test, this
14 prototype, again built by, by Sandia in collaboration
15 with, with Livermore and industry, you know, proved
16 out that the NIF design would meet the requirements
17 of the power conditioning system.

18 I should mention at this point the
19 capacitors for the power conditioning system, the
20 contract has been awarded for the first half of those
21 capacitors, and we're currently looking at -- I'll
22 skip ahead here maybe just one viewgraph.

23 We're currently developing a strategy
24 for acquiring the power conditioning system, which
25 again would use an outside integrated contractor to

1 build, assemble, test, and ultimately install these
2 power conditioning modules in the capacitor bays.

3 Okay, we're just going to talk a little
4 bit more about the performance of the amplifier
5 system. We built a facility called "Amp. Lab" where
6 we were able to put together some of the modules of
7 an amplifier and fire the flashlamps, measure gain,
8 measure wavefront, measure performance of the system.

9 So here are some test results from
10 those gain measurements. And here you can see the
11 gain rolloff across the aperture of an amplifier.

12 Now, this is because amplified
13 spontaneous, spontaneous emission depletes the gain
14 near the edges of the slab, and so that actually
15 affects the reflector design where we try to direct
16 more of the flashlamp light towards the edges of the
17 slabs to partially compensate for this.

18 This profile, combined with the profile
19 injected from the front end, then produced the flat
20 top irradiance profile that John showed. We did this
21 on Beamlet, and we were able to, in amp. lab, show
22 that we did, that, that our models and predictions of
23 what that gain uniformity would be were actually
24 borne out by the, by the design.

25 So I want to go back to the, the

1 amplifier schematic for just a moment. The, the
2 amplifier, a, a part of the amplifier system is very
3 tightly coupled with the building and the
4 infrastructure.

5 That part is the frame assembly unit
6 and these gas plenums. These are installed as part
7 of the facility, for all intents and purposes.

8 The LRUs are the slab cassettes and
9 flashlamp cassettes. Those come along later to be
10 installed.

11 But the frame assembly units are part
12 of the beam enclosure, part of the beam line. And
13 this is an area that is, is actively moving ahead in
14 terms of construction, fabrication, and assembly.

15 So, for the frame assembly units, these
16 are being fabricated and precision cleaned by
17 contractors. That's actually happening right now.

18 They will be finally assembled in a
19 clean room here at Livermore, transported over to the
20 laser bays for installation by the infrastructure
21 contractors. Again, just to give you a little
22 feeling here, the frame assembly units are on, are,
23 are on order.

24 The gas plenum and top plate electrical
25 isolator award is, is ready to happen. The facility

1 where this assembly will happen is being prepared.

2 Here's a photograph from a few months
3 ago. This is actually the, the Beamlet high bay
4 without the Beamlet laser in it.

5 It's a Class 100 clean room. There
6 it's sort of getting ready a few months back.

7 A little more recent picture showing
8 the support structures on which the amplifier frame
9 assembly units will be assembled. I should maybe say
10 a little bit about alignment of these assembly units
11 now, because that will come up in a number of, a
12 number of cases.

13 These are assembled in exactly the same
14 mechanical configuration in which they will be
15 mounted in the facility. So they, they hang from
16 these structures.

17 And that's important in terms of
18 achieving the alignment tolerances for where these
19 amplifier slabs ultimately get positioned in the
20 laser. John talked about the uncertainty with which
21 you place components in the beam line.

22 For these particular components, for
23 amplifier slabs, that tolerance the plus or minus
24 three millimeters. So that means in the amplifier
25 slab, that 400-millimeter aperture, there's a few

1 millimeters around the outside edge which is there
2 because we cannot locate the slabs with infinite
3 precision in this large facility.

4 That actually comes up in a number of
5 cases when we talk about LRUs, that alignment
6 precision. The, a couple of things that really come
7 through here are glass close together, literally sort
8 of an inch or less between edge of glass to edge of
9 glass, which drives the mechanical engineers kind of
10 crazy. They like to grab onto things and there's no,
11 no room to grab onto it.

12 And then in this laser bay the, the
13 length of the laser in that laser system is 123
14 meters. We have sort of millimeter-type tolerances
15 on positioning in these optical components.

16 The reason why we try for a millimeter
17 is looser than that we give up aperture, which means
18 we give up gain. Tighter than that I don't think we
19 can achieve.

20 So it's sort of a millimeter-class
21 alignment in a 150 meter-long facility, or pardon, 10
22 to the fifth. That's a, that's what we're shooting
23 for.

24 Okay, the third part of the laser
25 engine, so far it's been near infrared, is the final

1 optics assembly here where the light's converted to
2 the ultraviolet. I think yesterday you saw a
3 photograph or two of the target chamber, this
4 10-meter-diameter sphere.

5 It is the mounting structure for the
6 final optics assembly. Where you see these plates,
7 these are where the final optics assemblies will be
8 installed.

9 And just to follow up on the question
10 about direct drive, these ports here are where you
11 would install the direct-drive final optics
12 assemblies. So the target chamber has the ports in
13 the proper location for that.

14 Okay, John showed you a schematic of
15 the optical system inside a final optics assembly,
16 one beam line. Here is the engineering prototype of
17 the final optics assembly.

18 There are four laser beams that, that
19 come into one of these assemblies. They go through
20 these modules here, one, two, three, four.

21 Inside this housing here then are the
22 optics that John was, John was describing. The
23 frequency converter and focusing lens are about here.

24 The debris shield comes in and out
25 through this slot here. So this actually gives me a

1 chance to talk a little bit about how the engineering
2 responded to some of the physics and operational
3 requirements.

4 A couple of people have asked in the
5 last day or two about changing out debris shields.
6 We estimate that that's something you'll have to do
7 every week, probably on a maintenance day.

8 On Nova that was always on Monday. So
9 you'd have to change out 192 debris shields every
10 week.

11 This is an LRU here, this, this
12 housing, but so is this, the thing that goes in this
13 slot. There's a cassette, sort of like a kitchen
14 drawer -- Weighs a little bit more than the fully
15 loaded silverware drawer. -- that has to be
16 installed through this slot onto precision slides
17 into this, this module.

18 This can happen on, on the beam line.
19 Let me jump to my next picture to give you a little
20 sense of what some of the engineering challenges are.

21 Okay, this is a simulated picture. We
22 took the final optics assembly photographs and pasted
23 them onto here to give you a little sense of what,
24 what, what operators are going to deal with in
25 dealing with some of these operations.

1 You'll notice we've only put every
2 other one on. So these are relatively close
3 together. You access these by various floors in the
4 target building.

5 So this debris shield change-out, which
6 we think will happen once a week for all 192 beams,
7 involves about a 15- to 30-minute operation of actual
8 exchange. Two people would remove the debris shield
9 from the previous week's shot and install a new
10 debris shield.

11 There are a couple of cleanliness
12 aspects that factor into this design. You can't just
13 open up the interior of the beam line to the laser
14 bay or target bay, because they're not clean rooms.

15 So, in, in the design, it's not shown
16 on this photograph, but there's sort of a local clean
17 room, clean hood over this area that blows clean air
18 across the opening allowing you to slide in a plate
19 allowing you to cover up the optics on this side.

20 A plate also goes against the debris
21 shield cassette. You extract that cassette.

22 So here's the plate on the expensive
23 optics. You slide in the new debris shield cassette.

24 These double plates go together, and
25 then you extract that, maintaining the cleanliness.

1 And this is very challenging engineering because the
2 pieces of glass, again, are very close together.

3 In this case it's longitudinally, and
4 so the space requirements really drive the, the
5 engineering detail and the design.

6 A couple of things John didn't tell you
7 about the magic of frequency conversion was just how
8 hard this magic is to achieve. It's very sensitive
9 to angular and, and, and positional tolerances.

10 The frequency conversion process, the
11 Type I/Type II configuration is sensitive to
12 tolerances on the order of ten micro-radiance. Now,
13 how do you hold the crystals in the lens to those
14 type of tolerations and give yourself the ability to
15 tip and tilt it to do the frequency conversion and
16 get the performance that John described?

17 Now, in Type I/Type II, the doubler is
18 sensitive to tilt in one axis, and the tripler in the
19 other axis. It's actually convenient, and we took
20 advantage of that in the optomechanical design,
21 because both the doubler and tripler are in the same
22 optical mount, which then turns in one axis to tune
23 the doubler, and the other axis to, to tune the
24 tripler.

25 In that same mount is also the lens,

1 all in close proximity, about 20 to 30 millimeters
2 apart.

3 The crystals are thin. They're sort of
4 about a centimeter in thickness, and about 40, well,
5 they're 41 centimeters square.

6 They're kind of floppy types of things.
7 And the frequency conversion processes cares about
8 the local variations of the crystal's axis. And that
9 local axis can be distorted by strain, gravity,
10 mounting pressures, and so forth.

11 So this cell, which was manufactured
12 using relatively conventional machining techniques,
13 was able to achieve the flatness requirements on
14 these mounting services, which are two to three
15 microns, for both the doubler, tripler, and lens
16 surface.

17 And this particular cell, this was a
18 photograph of the cell that was tested as part of the
19 Beamlet frequency conversion campaign. So we
20 actually put 37-centimeter crystals and lens into a
21 cell, put it onto Beamlet.

22 Okay, that sort of walks you very, very
23 quickly, I know, through the, as I said, the, the
24 engines of the laser system. I'm going to go back
25 now and talk about beam transport, how we get the

1 light through the laser system, and what some of that
2 hardware looks, looks like.

3 I'm going to talk just very briefly, I
4 think, about the deformable mirror, because you've
5 seen a few of those results. I'm going to talk about
6 spatial filters, and talk about mirror mounts. And
7 I'll also talk about the pockel cell for, for just a
8 moment, too.

9 So, one of the things that, that is
10 very central to the performance of the laser system
11 is, is the adaptive optic. The deformable mirror
12 corrects primarily the thermal distortions in the
13 amplifier slabs.

14 As Ed mentioned yesterday, when you
15 fire these flashlamps, a tremendous amount of heat is
16 actually deposited in the laser slabs. They distort
17 in a very quick sense during the pulse, and also
18 there's heat that resides in those slabs for a long
19 period of time, and that distorts the optics.

20 But in addition to those aberrations,
21 there are aberrations due to fabrication of optical
22 elements; installation, lenses don't go in exactly
23 the angle that you'd like them to go in.

24 There are some low-order distortions in
25 the nitrogen environment. The adaptive optic, which

1 has 39 actuators, is designed to address those
2 low-order, relatively low-order aberrations.

3 So it can do sort of third-order and a
4 little bit into fourth-order types of correction,
5 which turns out to be exactly what's needed from the
6 amplifier distortion. The amplifier distortion has
7 sort of this "M" shape to it.

8 It's kind of a third- or fourth-order
9 type effect. The optical aberrations due to mounting
10 and installation are, are generally a second-order
11 and a fourth-order.

12 So the mirror is very well-suited to
13 the aberrations of our system. This is a, a mirror
14 that was tested on, on the Beamlet system, and I
15 think you've seen this picture maybe, this is the
16 third time now, of test results from, from the
17 Beamlet laser system.

18 One, one thing that maybe hasn't come
19 forth yet. There's another operational advantage to
20 having a deformable mirror.

21 Because you have this heat in the laser
22 system, and you're basically waiting for the laser to
23 cool down before you can fire again, that means there
24 are periods of time when you can't align and can't do
25 anything with the laser system. The adaptive optic

1 actually gives you the ability to start that
2 alignment process earlier, before the system has
3 completely cooled down.

4 And the adaptive optic is not really
5 moving very far. It has a 15-wave peak-to-valley
6 system requirement, but light bounces off of it
7 twice, and it's a mirror.

8 So that means we're actually only
9 pushing and pulling on the mirror's surface a few
10 microns, three or four microns. Now that's a big
11 number in optical sense, but small mechanical, small
12 mechanical movement.

13 And this is another opportunity for me
14 to say what we're doing with, where we are in, in,
15 in, in this acquisition. We're currently in the
16 process, beginning the process of transferring the
17 technology for assembling these mirrors to the
18 University of Rochester Laboratory for Laser
19 Energetics.

20 So our current strategy would have them
21 building up and testing these mirrors for us,
22 transporting them here to be integrated into the
23 actual mount, and installed in the, in the laser
24 system.

25 THE CHAIR: That thing that's two-fold

1 symmetry, right?

2 DR. ENGLISH: In this axis and in this
3 axis? Is that what you're referring to?

4 THE CHAIR: Yeah, the horizontal and
5 vertical are not identical.

6 DR. ENGLISH: That's correct. Actually
7 there's a, there's a couple of details here.

8 You, for alignment purposes you
9 actually need to be able to see through this mirror.
10 The actuators on the edge are actually just outside
11 of the aperture of the mirror, but they're needed to
12 control how the edges sort of flap around.

13 But there are, but there are 39
14 actuators. The place where the symmetry's broken,
15 perhaps, is what you're referring to, is right here
16 in the center. If you took these two out.

17 THE CHAIR: Yeah, there's --

18 DR. ENGLISH: Okay, the pockel cell is
19 the next thing I'd like to talk about, and after I
20 speak, I understand there's a, a short break, so that
21 might be a good opportunity to step out in the lobby
22 where we have a prototype of a, a 2-by-1, so-called
23 2-by-1 version of the pockel cell. For NIF you need
24 a 4-by-1 version.

25 If I go back to the amplifier

1 configuration, the amplifier configuration really
2 drives the bundle geometry. Four apertures high by
3 two wide.

4 Most LRUs in the laser bay that hold
5 large-aperture optics are four, four high, one wide,
6 so there are two LRUs per bundle. So this is the
7 pockel cell.

8 Four apertures, but electrically it's
9 really like two of the units that you see in the
10 lobby. It's two 2-by-1s.

11 A number of challenges in, in this
12 engineering task. Some of those were addressed in
13 Beamlet, where we built a single-aperture pockel
14 cell.

15 Some of the things that we looked at
16 for NIF, again getting towards sort of manufacturing
17 and engineering, going away from a polyethylene
18 insulating housing to an aluminum housing, aluminum
19 being able to offer the structural stability that we
20 needed with thinner walls.

21 Again, remember, things are closer
22 together so we need to, to look at thinning up the
23 walls of things. However, the aluminum does not
24 electrically isolate the cathodes and anodes, so it's
25 annodized to provide that insulation.

1 That's one of the technology
2 engineering developments that had to be proven for
3 the NIF design, again, responding to these optical
4 spacing requirements, as well as trying to generate
5 the uniform plasma across all of these apertures.
6 And the pockel cell is really one of our, I think,
7 greatest success stories, not only from a technology
8 standpoint, but, but an engineering standpoint,
9 because it works.

10 The requirement is that the, that the
11 average transmission be greater than 90 percent, 99
12 percent, with no point in that aperture less than 98
13 percent. This is extinction ratio, or switching
14 efficiency, if you will.

15 The prototype exceeded those
16 requirements, 99 percent. And principally the, the
17 losses are due to strain in the windows that bound
18 the, the pockel cell environment.

19 Okay, one of the things I was involved
20 with quite a bit in the early preliminary design of
21 the, the NIF system was the tran-, the spatial
22 filters, how they were laid out, how long they had to
23 be, some of the optical imaging and relaying
24 requirements.

25 This spatial filter here is 23 and

1 a-half meters long. This one is 60 meters long.

2 The length from the front surface of
3 the deformable mirror to the output lens here is 123
4 meters. So it's actually a little more than half of
5 the length of, of the, the laser system is, is this
6 evacuated space for spatial filters.

7 What drives this length is the length
8 of the cavity, which is twice that length, as John
9 says, or the cavity is 47 meters. And to get to the
10 47 meters we had to think about things like: How are
11 we going to install and maintain these
12 line-replaceable units?

13 How much space do we need between
14 mirrors and amplifiers and lenses to be able to do
15 those insertions and removals and those maintenance
16 activities?

17 That actually drives the cavity a
18 little longer than the way a physicist would think of
19 it. But it's, it's got to be a facility.

20 It's, I like to call this a "light
21 factory." It's got to work day-in, day-out. So we
22 have to accommodate that in the design here.

23 The transport spacial filter length is
24 principally driven by the length of the path from the
25 output to the target chamber. These different beam

1 paths range in length from sort of 60 to 70 meters,
2 and that ostensibly sets the length of the transport
3 spacial filter.

4 It's not just a simple geometric optics
5 problem, because we're talking about a high-peak
6 power laser where there are nonlinear effects. So
7 the, the uniform irradiant distribution that you like
8 here actually happens over a several-meter length,
9 and it's a fairly shallow minimum.

10 But that's what sets the length of this
11 transport spatial filter.

12 Now, on Nova the longest spatial filter
13 was 13 meters. This is a picture of a Nova Spacial
14 Filter Number 5. This one's actually nine meters.

15 A round lens here, a round lens here,
16 tapered beam tubes to a pinhole assembly in the
17 center.

18 On NIF, the optics are square, and
19 that's basically a packing fraction reason. We have
20 to put things close together, and that's what drives
21 the design of the optomechanical hardware, being able
22 to pack these square apertures relatively close
23 together.

24 And a couple of years ago there were
25 fairly heated discussions between the mechanical

1 engineers on one side, and the optical engineers on
2 the other side, the optical engineers wanting the
3 glass to be a little bit bigger for manufacturing
4 purposes, the mechanical engineers wanting it to be a
5 little smaller so they can have a few more
6 millimeters to put the aluminum and stainless steel
7 around to hold onto it.

8 But this is Spatial Filter Lens Number
9 4, which actually has a lens and a diagnostic beam
10 splitter. Real NIF glass is not orange. This is a,
11 a surrogate that's used for the prototype testing.

12 But again, you see the sort of familiar
13 LRU hardware geometry stacked four high by one wide.
14 And if you're not sort of cal-, to kind of calibrate
15 you, if you hold your hands out like that, that's
16 about how big the NIF laser beam is.

17 That's sort of about 16 inches, which
18 is the size of a NIF laser beam. So that gives you a
19 sense for the, the scale on these spatial filter
20 cassettes.

21 Again, just point out one of the
22 engineering aspects that, that came into this
23 particular task. Traditionally for these vacuum
24 spatial filters lenses the barrier, this is the
25 barrier between vacuum and, and atmosphere of

1 pressure, we've used O-rings to seal between those
2 two.

3 Now, the NIF lens design is equiconvex,
4 so it's cured on both sides, and it's square. So
5 when you trace out that profile, you get this sort of
6 pillow shape.

7 You can machine into the, the bezel
8 that shape for an O-ring. It's fairly expensive.

9 We have 192 beams, each having four
10 spatial filters. So the engineers working in this
11 area had the idea to try and use a shaped or formed
12 gasket which would be mounted on a flat surface, so a
13 cheaper manufacturing process than putting on a
14 gasket which actually has that shape.

15 That's not something you would do when
16 you're building one or two or three or four, but when
17 you're building lens mounts for 800 lenses, that
18 becomes an economical thing to do. So that's one of
19 the kind of engineering tasks that was proven out in
20 the last couple of years.

21 Let me talk about mirror mounts for a
22 little bit here. In the laser bay it's this bundle
23 geometry, four high by two wide.

24 When we get into the switchyard we have
25 to split that grouping so that half of the beams go

1 to the top of the chamber and half go to the bottom.
2 That happens right here at the first mirror in the
3 switchyard.

4 Four of the beams are directed up and
5 four of the beams are directed down. Now, remember,
6 the amplifier drives this spacing, both horizontally
7 and vertically, and that derives, again, some of the
8 mechanical engineering aspects for some unique and,
9 and new places.

10 Here's a, a photograph of the, of a
11 mirror being tested. And I want you to observe in
12 this photograph how the mirror is being held.

13 It's being held from the back. There
14 isn't enough room on the side to grab onto the
15 mirror.

16 And if there were, because of gravity
17 pulling down, or in the other case, the mirrors
18 facing up, the distortions of the front surface would
19 be larger than we would like. So part of the
20 mechanical engineering design was figuring out how to
21 hold onto the mirror from the back.

22 There are 1-inch diameter holes drilled
23 into the mirror. A mandril's inserted in there,
24 expanded to hold onto the mirror.

25 And they're positioned in such a manner

1 so as to minimize the distortion due to gravity. So,
2 this mirror was tested, this mirror mount design
3 developed here at Livermore.

4 A flecture-based kinematic mount design
5 was shown to meet the requirements of sort of a
6 quarter-wave peak-to-valley distortion as mounted.
7 You can actually see, so you have to, you have to
8 look at the scale here.

9 This is in 100 nanometers minus 100
10 nanometers, so these are sort of 50- to 100-nanometer
11 depressions. These were actually where the, the, the
12 attachment points are.

13 And because they expand out, that
14 actually pulls, by a plasmon effect, pulls the front
15 surface down slightly. This, however, meets our
16 requirements for, for beam transport to the final
17 optics, for frequency conversion, and then focusing
18 down on the target.

19 Okay, so that's kind of a very quick
20 tour of LRUs in the system. The last topic that I'd
21 like to just briefly address is the assembly of these
22 LRUs.

23 You've heard discussed some of the
24 aspects of the cleanliness and what happens in the
25 amplifier, or actually in any optical element where

1 you get a little bit of contamination at these high
2 peak powers and high energies.

3 So the optics assembly building, which
4 is down here, contains an 8,000-square-foot Class 100
5 clean room. And for the most part, that's where
6 these large optical elements were mated to their
7 mechanical and electrical systems.

8 So amplifiers, pockel cells, lens
9 cassettes, mirror mounts, those are assembled in this
10 assembly building, which is just about ready to be
11 turned over to the program to operate as a, as a
12 clean room. And in fact, in my areas we've got a few
13 people getting ready to install equipment on those
14 isolation pads.

15 Those are essen-, essentially the
16 equipment that will be used for doing this assembly,
17 the alignments, fixtures, and so forth.

18 The final topic that is what I
19 sometimes think of as an extension of the optics
20 assembly building, is how you get these LRUs from
21 this clean environment, through the laser bay, and
22 then installed in the clean beam line.

23 We have these transportable clean
24 rooms, essentially, that, that match the environment
25 into which the optic's going to be inserted. So

1 it's, for the most part it's a nitrogen environment
2 in the main laser cavity, except for, of course, the,
3 the vacuum in the spatial filter.

4 We have a large, essentially automated
5 guided forklift that carries the canister inside of
6 which is a line-replaceable unit. The
7 line-replaceable unit is placed in the canister in
8 the optics assembly building, closed off.

9 The transporter picks it up, carries it
10 down the aisleway to the appropriate location in
11 laser beam line, docks to the laser. Remember, the
12 laser is over your head. Docks to that.

13 There are a pair of these covers then
14 that remove, push the LRU up into the beam line,
15 where, by kinematic mounts, it's positioned onto its,
16 its mounting position. Again, the tolerances for
17 where that optic ends up when you're done with this
18 operation is a millimeter. Some cases it's three
19 millimeters.

20 And you have to think about that in the
21 context of this large laser bay which starts from
22 concrete, concrete pedestals, structures, a beam
23 path, beam tubes, mounts inside of that, and this LRU
24 being essentially precision positioned to kind of a
25 millimeter tolerance.

1 A millimeter's kind of a big number to
2 a mechanical engineer, but again I remind you of the
3 scale. It's ten, it's one part in ten to the fifth
4 of the whole facility.

5 So a lot of activity has been happening
6 in the last couple of years with the engineering
7 design, and in many of the areas I've described, the
8 design is complete and, and we are either in
9 procurement phase or, or rapidly moving into that.

10 The master oscillator, it is being
11 built right now. The preamplifier module, as I
12 mentioned, we're preparing the procurement
13 documentation to have that acquired as an integrated
14 unit from an outside vendor.

15 In the frame assembly units for the, in
16 the amplifier, those enclosures, they'e being
17 fabricated now. The assembly facility is being
18 prepared. Starting in the spring we'll begin those
19 assembly operations.

20 Capacitors and flashlamps, they're on
21 order. As I mentioned, we're developing an
22 acquisition strategy for the power conditioning
23 system which would have an outside contractor build,
24 assemble, test, and install these 192 modules into
25 the facility.

1 Some LRUs, like the pockel cell, have
2 their final documentation package being prepared for
3 procurement. In almost all cases where the LRU
4 touches the infrastructure there's some mounting
5 hardware. Those procurement packages, some of them
6 are out. Some of them are being prepared now. Some
7 of them are out in the next couple months.

8 The deformable mirror technology is
9 being transferred to the Laboratory for Laser
10 Energetics. They will do the assembly and testing of
11 these mirrors for us.

12 I didn't dwell on this at all, but the
13 final optics assembly contains a large vacuum
14 isolation valve to separate those four beam lines
15 from the target chamber. That contract was awarded
16 in July, and the housing upon which the integrated
17 optics modules mount, that contract is also out.

18 And as you saw from the photograph,
19 the, the installation vehicle is actually being
20 tested, programmed for use right now.

21 So just to wrap up, again, a couple of
22 the challenges that, that the engineers have faced
23 in, in designing this hardware is meeting the
24 performance requirements. I like to say that the
25 engineer's job is to make the physicist's dreams come

1 true.

2 They talk about the magic of
3 amplification, the magic of frequency conversion, the
4 magic of switching from a pockel cell. Someone's
5 actually got to manufacture that hardware and have it
6 meet those performance requirements in an operable,
7 maintainable, cost-effective manner.

8 And that's, that's really the, the
9 engineering challenge. We've tried to, in some
10 cases, especially like the master oscillator, design
11 things in such a way that we can incorporate new
12 technologies as they become available.

13 I think that's a, a prudent thing to do
14 when you're talking about a facility that will
15 operate for 20 or 30 years. This has been a big
16 aspect of many of the engineering discussions.

17 It's not just, "Can you build it?" but,
18 "Can you build 192 of them? Can you manufacture it?"

19 So the discussion's about casting
20 something versus machining it. If you're building a
21 protective, building a one off, you'd probably just
22 machine it so that it worked.

23 But again, for the quantities of
24 roughly 200, you start to look at other technologies
25 that are more cost-effective from a manufacturing

1 standpoint. This, of course, is an activity that has
2 been engaged fairly extensively in the last six
3 months especially.

4 How are we going to buy this stuff?
5 How are we going to get it here?

6 How are we going to manage and know
7 what's where, quality control of that? And
8 ultimately, how are we going to assemble that and
9 install it into the, into the facility?

10 Those were my prepared remarks. I'm
11 happy to answer, try to answer any questions that you
12 might have.

13 THE CHAIR: Thank you.

14 Any questions?

15 DR. VOGT: What are your problem areas?

16 DR. ENGLISH: Well, I think there's a
17 couple of ways I can answer that question. We have
18 some parts of our, of our system which are in final
19 detail design.

20 They're, for the areas that I'm
21 responsible there are about 8,000 mechanical
22 drawings. We have about 6,500 of those complete.

23 So one area that, you know, I'm
24 actively engaged in is: Who are the engineering
25 teams? Are they sufficiently organized to be able to

1 finish out the designs of the LRU equipment, and in a
2 more urgent sense specifically the hardware that has
3 to be provided to the infrastructure, the mounting
4 hardware and so forth.

5 So things like frame assembly units,
6 kinematic mounts, I don't know if they're so much
7 problem areas, but they're the areas that, that I pay
8 very close attention to. I think by and large the
9 optomechanical system I feel pretty good about.

10 We've got, you know, problems at all
11 kinds of different levels, sometimes problems that
12 come up each week, and you, you work on those.
13 We're, we're looking at designs in a couple of areas
14 to see if they are robust enough.

15 DR. VOGT: But nothing which requires
16 R&D?

17 DR. ENGLISH: I think predominantly no,
18 not, not really R&D. Now there may be some
19 technology-driven responses.

20 For example, we talked a little bit
21 about 3-Omega damage. There may be some this about
22 3-Omega damage and how you have a laser system that
23 operates for the lifetime that you'd like it to that
24 would factor into the, the engineering aspects.

25 But they tend to, the, the technology

1 related things from an engineering standpoint tend to
2 be much more sort of detailed, like: Is this
3 material acceptable in this environment?

4 Can it be cleaned? Does this
5 manufacturing process yield a, a product that meets
6 the other requirements? Very sort of engineering --
7 I, I don't really think of those as R&D types of
8 things.

9 THE CHAIR: Any others?

10 (Whereupon, no response was had.)

11 THE CHAIR: Thank you very much.

12 DR. ENGLISH: As I mentioned, during
13 the break I'll be out in the lobby if you want to ask
14 some questions about pockel cells or that flashlamp
15 that's back there.

16 THE CHAIR: All right. Thanks.

17 We reconvene at 10:30.

18 (Whereupon, at 10:12 a.m. PT the
19 members took a brief recess and returned at 10:30
20 a.m. PT, after which the following occurred:)

21 THE CHAIR: Now we're up to the cleanup
22 hitter. Jeff Atherton is here to talk about optics
23 development.

24 OPTICS DEVELOPMENT PLAN AND REQUIREMENTS:

25 DR. ATHERTON: As John said, my name is

1 Jeff Atherton. I'll take the next little bit of time
2 to try to get you up to speed with where we are on
3 optics development, our plan and requirements.

4 Here's a summary outline of my talk.
5 What I'll go through up front is just the scope and
6 approach that we're using for the large optics
7 production. That's to get the roughly 7,500 large
8 optics that we need for NIF.

9 Then I'll go through the status of our
10 optics manufacturing technologies and the facilities.
11 And what you'll see very much is that we're
12 transitioning from this pilot production phase into
13 main production. You'll see that in a lot of
14 different ways.

15 And then I'm going to wrap up with the
16 plans for on-site optics processing, which is
17 cleaning and applying the silica gel antireflection
18 coatings in the optics processing development
19 laboratory.

20 Just to give you a little historical
21 perspective, supplying precision optics for ICF
22 lasers is a decades-long endeavor. And I summarize
23 for you, going back into the early '70s, the Janus
24 laser, which you saw laser glass yesterday from Ed
25 Moses, and I'll show you again today in a little bit,

1 going from Janus up through Beamlet, we've built and
2 operated a series of lasers, each one having larger
3 aperture and higher energy, in general, than the one
4 before.

5 And just in perspective, Janus had
6 about a 10-centimeter round aperture up through
7 Beamlet, 40-centimeters square, so much larger
8 apertures.

9 In terms of the materials, Janus was
10 silicate laser glass. Nova was phosphate laser
11 glass.

12 The materials that we used even for
13 things like the, the multi-layer coatings for mirrors
14 and polarizers, going from, in Nova, from titania
15 silica. Beamlet was hafnium silica. Has advantages
16 for damage resistance.

17 And then even fundamental things like
18 KDP crystals. These were infrared lasers.

19 For Nova, the beginning of Nova, the
20 biggest crystals you could buy were about this big.
21 Nova got them up to this size, and then for Beamlet,
22 even larger still.

23 So, so that's part of what we do in
24 buying optics, both for looking backwards in time and
25 going forwards, is, is, to advance technologies,

1 whether it's the materials themselves or the
2 manufacturing technologies. For example, in NIF,
3 here we'll be manufacturing at a much higher rate
4 than was ever done before, especially for Nova;
5 roughly, you know, anywhere from sort of, you know,
6 five to 20X, the manufacturing rate.

7 So, and the way we do that is to
8 partner with the optics industry. We've done this
9 for the last 25 years and what, a big part of our
10 mission is to develop and then transfer advanced
11 manufacturing technologies; develop them in place
12 wherever we can, but the idea is find out what we
13 need to do, make sure it's developed, get it in place
14 in industry, and then move on.

15 So, to accomplish the requirements for
16 NIF there are a number of advances in optics
17 manufacturing technologies that were needed. And I
18 summarize them here briefly by discipline.

19 And then what the key technology
20 requirement is for NIF in laser glass, it's going
21 from batch melting to continuous melting and forming.
22 In crystals, going from rapid crystal growth, on the
23 order of 10 millimeters per day.

24 Fused silica: Optimizing the boule
25 geometry with a much higher product yield and a

1 product delivery rate.

2 Fabrication, both for flats and for
3 lens fabrication, having im-, better grinding, much
4 higher speed polishing, and deterministic figuring.
5 And "figure," it's, it's a term from the industry.
6 It means bring the wave front into specification.

7 And then optical coatings: Better
8 process design, better control. Reduce defects for
9 improved damage resistance, and then high throughput.

10 So I'm going to go through all of these
11 things with you today. So those are the
12 technologies.

13 I want to just illustrate for you how
14 we manage the flow of these optics. And we manage
15 them from the material manufacturing through
16 finishing and coating, and then on-site processing,
17 where they're cleaned and coated for delivery into
18 the LRUs.

19 And this is just illustrated for
20 crystal. So here's a rapid-growth crystallizer that
21 produces the material.

22 It goes on. It gets finished.

23 This is the diamond-turning machine
24 that does the final finishing. And then here for
25 processing, where it goes through an automated

1 cleaning process, and then on to cell gel coating.

2 So that's, that's a specific
3 illustration. What I've got here is a flow chart
4 more comprehensive of how we do it.

5 In order to accomplish this, we either
6 have new or augmented facilities that have been built
7 at vendors with proven track records. These are the
8 companies that we've worked with for the last 20
9 years.

10 And I trace these for you sort of two
11 ways. There's the material vendors. These are the
12 ones that supply, for example, the laser glass, the
13 BK-7 substrates for the mirrors and polarizers, fuse
14 silica substrates for lenses and windows, and the
15 crystal boules, KDP or a deuterated KDP.

16 We also track it this way, okay? In
17 this case the, the red is for the laser glass. The
18 laser glass goes on to Zygo for finishing.

19 Some amount of it will be small-tool
20 figured. I'll talk about that a little bit; and then
21 into the warehouse.

22 The green squares are for the mirrors
23 and polarizers, so BK-7 finished at either, it will
24 be Zygo or Kodak. Kodak winds up being a flexible
25 facility. It could have four, three different colors

1 here.

2 On to LLE, that's the Laboratory for
3 Laser Energetics at the University of Rochester, or
4 Spectra Physics for coating; again into the NIF
5 warehouse.

6 Blue is the fused silica, blanks
7 getting fabricated primarily by Tinsley, also by
8 Bond, into debris shields; into the NIF warehouse.

9 And then crystal's grown by either
10 Inrad, Cleveland Crystals, or Livermore, finished at
11 Cleveland, and then into the warehouse. And then --
12 Where they're stored.

13 And then they're brought out and
14 processed just in time for installation in the NIF.
15 So, what I want --

16 Yes, sir.

17 DR. VOGT: When you have two suppliers,
18 for example, like the laser glass, --

19 DR. ATHERTON: That's right.

20 DR. VOGT: -- could one supplier do the
21 whole job?

22 DR. ATHERTON: Yes, either one of
23 these. We have facilitized so that either one can do
24 the entire job.

25 So what I'm going to do now is in just

1 a little bit I'll take you through each of those
2 components kind of one by one. But again, just to
3 put this all in perspective before I, I get into that
4 part of the talk, we're going through what I look at
5 as a four-part program that's being followed to meet
6 the NIF optics requirements.

7 Technology development, this was
8 actually conceived of back during the conceptual
9 design phase. That's done.

10 Facilitization, that's creating those
11 facilities, and I'll show you where we are there.
12 Technology demonstration, as opposed to development,
13 which is our pilot production, and you can see we're
14 right in the middle of that now, and then
15 transitioning into production.

16 And that's what we're doing. So, in
17 fact, some of the production is already started.

18 The fused silica, the BK-7 glass are
19 the two biggest ones. Also deuterated crystals. So
20 now let me talk specifically about laser glass.

21 Livermore's worked with industry to
22 advance this laser glass technology dramatically in
23 the last 25 years. This is a, another photo that you
24 saw yesterday, but again, Janus, this is 10
25 centimeters, this is back in '73, up through Nova and

1 Novette in the mid-'80s, Beamlet in '92, and then
2 continuous melting here.

3 And again, if you just look at this
4 Beamlet slab, there's more laser glass in this slab
5 than in the entire Janus laser. And in terms of, if
6 you want to talk about volume, in this continuous
7 melting process, it will make more glass for one NIF
8 budget than was in the entire Nova laser.

9 So again, it's, it's magnitude, it's
10 silicates, the phosphates, and we will need over
11 3,000 laser glass slabs, and they weigh about 150
12 tons, for NIF. And in order to accomplish that there
13 are really three main challenges.

14 It's increasing the production rate
15 about 20X over what we had to do for Nova, and then
16 getting the cost per liter down by about a factor of
17 5X below Nova. And it's these two together that
18 really drive you from this batch process into a
19 continuous melting process.

20 The size of the job is just big enough
21 that it, it is, it puts you onto a new technology
22 curve. But then having done that, we have to produce
23 glass with a quality equal to or better than Nova.

24 Now, in Beamlet, that's using the batch
25 process, we actually did that. So Beamlet glass was

1 made to the NIF requirements.

2 Okay, so our challenge is, okay, do it
3 continuously, but maintain quality.

4 DR. VOGT: When will you know?

5 DR. ATHERTON: Let me just speak to
6 that. I'll, I'm getting to that in the next few
7 minutes, and then I'll, if I haven't answered your
8 question then, I'll, I'll take care of it then.

9 So, the U.S. and France have
10 facilitized two companies. You asked about that.

11 The two companies are Schott Glass
12 Technologies in Duryea, Pennsylvania, and Hoya
13 Optics, the U.S., in Fremont. These are the only
14 major suppliers of laser glass in the world today.

15 And both of these companies have
16 supplied glass, again going back 20 years, for major
17 ICF facilities throughout the world: Nova, Phebus in
18 France, Gekko in Japan, OMEGA at LLE, and most
19 recently, Beamlet.

20 Now, working with the CEA, these
21 companies have developed this continuous melting
22 technology. And if you look at these, these systems,
23 these are the most advanced optical glass melters in
24 the world today, both of them.

25 And having exercised them, we have,

1 what we've proven out so far in this production rate
2 and the cost polls, we've actually demonstrated them
3 in these pilot production runs. And what I mean by
4 that is you have to be able to make enough glass,
5 these 3,000 slabs, by 2003, in order to hold
6 schedule. Both companies have shown that they can
7 meet the production rate.

8 Then there's the intrinsic
9 manufacturing costs. What does it cost just to
10 operate one of these melters and put phosphate glass
11 out in slabs?

12 And what we've shown, too, is that the
13 intrinsic manufacturing cost has been met. So now
14 what it really comes down to, and I'll, and I'll
15 speak about this in a lot of different ways, is yield
16 to specification. Okay?

17 So, intrinsically we understand the
18 costs of the manufacturing processes. We can get the
19 rate we need, and we can get that rate from either
20 company by itself, speaking to your point again.

21 Okay, both companies have built roughly
22 30,000-square-foot facilities. This is a picture of
23 the Schott facility in Pennsylvania from the outside.

24 This is one of the Hoya, also roughly a
25 30,000-square-foot facility, from the inside, which

1 you're looking from one end of the building. Up on
2 this floor right here is where the melter sits.

3 The glass is melted and conditioned,
4 homogenized. Then it goes down into a forming region
5 on the first floor below this point, and it flows
6 through a long oven where it's quartz annealed, okay?

7 And if you look at the other end of the
8 building where that glass comes out, in either
9 building you see something that looks like this. And
10 so Hoya and Schott have both produced NIF-size laser
11 glass using this continuous melting technology.

12 This is what the glass looks like
13 coming out at the one end of the Hoya building. This
14 is what it looks like coming out of the Schott
15 building.

16 So they both made it. And again, if
17 you look back in perspective in '95 or even '97, we
18 were still projecting that these companies would be
19 able to build the melters and be able to operate
20 them; that they'd be able to produce phosphate glass
21 in a continuous strip at this size, and they've both
22 done it.

23 And so our focus as we go forward is
24 refining the process in order to maximize the yield
25 to assess specifications. You all know that there

1 have been several issues that we are working through
2 in terms of what these specifications are.

3 The biggest one is the OH content of
4 the glass, what we sometimes shorthand call "water,"
5 okay? And there, the issue with the "water" is that
6 it reduces the excited state lifetime of neodymium.

7 So, we're trying to get the "water"
8 content down by roughly a factor of three to four
9 over what the pilot glass was, okay? And, and the
10 reason that "water" is, is an issue is that it turns
11 out again that there is enough differences in the
12 continuous melting process, the residence time in the
13 glass in the the parts of the melter where the glass
14 is dried is less than in the batch-melting process.

15 And so it turns out that the raw
16 materials need a tighter, a tighter spec on OH for
17 continuous melting than for batch melting. And the
18 course, in the course of doing this pilot rn last
19 year we discovered that and we've quantified that.
20 So I want to take you through what our plans are for
21 that.

22 The second issue is the homogeneity.
23 And that is, you know, Ed spoke of that yesterday,
24 that we've got tight wavefront specifications on the
25 homogeneity of the glass. It's nominally about

1 six-wave peak to valley.

2 And a fair amount of the glass, we've
3 got some glass that, out of the pilot that actually
4 meets the homogeneity specs, but we also got a fair
5 amount of the glass that was, that did not meet that
6 specification. We believe that a lot of that was
7 because of the, the vendors exercising the melters,
8 trying to get the "water" content down.

9 And as, as a lot of you can relate to,
10 if you've got a process, any kind of a continuous
11 process, if you're jerking things up and down
12 upstream, you'll see that in, in properties
13 downstream, okay?

14 And so, in, in exercising the, the
15 melters upstream trying to get the "water" content
16 down, there's variations in the homogeneity, which
17 gets reflected in the index of refraction, variations
18 in that that produced errors in the transmittal
19 wavefront that were not acceptable.

20 Now, we believe that the glass, you
21 know, going forward will be better than that. But
22 again, what we have, we were concerned about what the
23 wavefront would be in this continuous melted glass,
24 and so we made sure that we had a technology, a
25 finishing technology that could correct that.

1 And I want to speak to both of those
2 things. Those are the two issues that we are most
3 concerned about.

4 You guys may have heard about others,
5 things like platinum inclusions. That is not a
6 dominant concern going forward.

7 Okay? It's really OH, and it's
8 homogeneity. I want to speak to both of those.

9 So, at Livermore we have installed and
10 operated a rotary calciner to demonstrate raw
11 material driving, drying. Calcining is just the act
12 of taking material and heating it up to drive off,
13 you know, some volatile component. That's all
14 calcining means.

15 In this case what it's doing is taking
16 the starting materials for the laser glass, heating
17 them up to drive off water which is either physically
18 or chemically bound to that raw material, and then
19 cooling it back down again. So it, conceptually it's
20 very simple.

21 There's a heating region where you
22 drive off the material. There's a drying region, and
23 then there's a collection region.

24 DR. VOGT: There's no water used in the
25 manufacturing process at all, is there?

1 DR. ATHERTON: No. In fact, in fact,
2 it's the other way. There, in the manufacturing
3 process there's a, part of the, of the melter is
4 actually, it further dries the glass, okay? Okay?

5 So, what we have shown here, this is
6 operating, this is taking actual starting material
7 from both Schott and Hoya, and actually running it
8 through this calciner. And we have shown that about
9 90-percent of the OH can be removed in doing that.

10 And removing that 90 percent of that OH
11 is what gives us a lot of confidence. By, by the
12 models that we have developed and applied to their
13 pilot production campaigns, the results and the
14 actual detailed melter designs, we believe that this
15 will get us either to or extremely close to what the,
16 the requirement is, okay?

17 And the other important thing is, in
18 terms of a technology response, these are
19 well-established methods for drying raw materials.
20 This is not, you know, something that had to be
21 invented or, or, or even particularly discovered.
22 People know about this.

23 So, both Schott and Hoya are installing
24 calciners for their Fiscal-'00 pilot campaigns. They
25 will be in place.

1 DR. VOGT: You've said this, it's
2 getting us close. You didn't say it's giving us a
3 margin.

4 DR. ATHERTON: Well, what, what, what
5 we have, actually several different steps that we are
6 planning, that the companies are planning to
7 introduce that if they all worked as well as
8 intended, we would actually get below the
9 specification, okay?

10 DR. MOSES: There's one other thing you
11 should know, Robby. You know, right now we're, I
12 think we're at 400 parts per million, --

13 DR. ATHERTON: On that order, right.

14 DR. MOSES: -- and we're shooting for
15 100 parts per million. Even if we had the glass as
16 it is now, you could, by adding the capacitors to the
17 power lines, reach the system specification that you
18 had.

19 So even though I, I have great
20 confidence they will succeed, from the point of view
21 of the operating system, it's a fairly low risk
22 situation. But it is a spec we have for the
23 manufacturers, and we are pressing them on, on
24 meeting that spec.

25 DR. VOGT: I'm sensitive to it because

1 I've had OH problems before.

2 DR. ATHERTON: Yeah. And as Ed talked
3 about, you know, we're talking about, you know, in
4 the hundreds of parts per million. It's relatively
5 low. And, and I understand what you're talking
6 about.

7 Okay, so that's the OH. Now,
8 wavefront.

9 The wavefront yield for the laser glass
10 can be improved by small-tool figuring. And I want
11 to take a minute to explain that, because, again,
12 this is a little bit of jargon.

13 Most glass, classically it gets finished
14 on a very large, continuous polishing lathe, and I'll
15 show you a picture of one here in a, in just a few
16 minutes. And so the, the polishing head is actually
17 very much larger than the optic itself.

18 So, you can do things as long as any
19 variations in the, the, the, the homogeneity are in
20 relatively long length scales, sort of in order, you
21 know, of half to a-third of the size of the optic,
22 you can figure, figure out those errors even on a
23 large lathe. If they get to be on the order of, you
24 know, a few centimeters, you know, sort of this size
25 versus this size, then these large polishing lathes

1 cannot take that homogeneity out.

2 But, it turns out Kodak has what they
3 call small-tool figuring. This is an actual size of
4 the head.

5 This is, is actually a Nova turning
6 mirror, but they've also applied it to, to laser
7 glass. And so by, by putting the optic on an, on an
8 interferometer they actually will generate what the
9 actual wavefront is.

10 They can turn that into what they call
11 a "hit map" and then determine where they want to
12 selectively remove material in order to make the
13 transmittal wavefront meet specification. So they're
14 changing the optical path to compensate for changes
15 in the index of refraction.

16 And that deterministic figuring can
17 compensate for the glass inhomogeneity by this
18 preferential surface removal.

19 DR. VOGT: But it costs more.

20 DR. ATHERTON: Costs a little bit more,
21 okay? It turns out that, that the, the, the, the
22 incremental cost of doing that, that step is on the
23 order of about ten percent of the cost of the glass
24 itself. So it costs a little bit more.

25 DR. WARNER: Is this just on the ends

1 of the slabs?

2 DR. ATHERTON: Pardon?

3 DR. WARNER: Is it just on the ends of
4 the slabs?

5 DR. ATHERTON: No, it's on the faces.

6 DR. WARNER: On the faces.

7 DR. ATHERTON: Yeah. The, the slabs go
8 through at Brewster's angle, so, so, yeah, they,
9 they, this would be square, think of, or a
10 rectangular slab sitting like this.

11 And this, this small head would
12 traverse back and forth over that optic, and based
13 on, you know, the amount of time it dwells there,
14 that, that will determine how much material is
15 removed.

16 DR. MOSES: This is just like --

17 DR. ATHERTON: Ed?

18 DR. MOSES: You can sort of think about
19 this as a very local deformable mirror, right? It's
20 just in the surface itself you put little
21 deformations in to make up for the bulk property, the
22 bulk property heterogeneity.

23 DR. ATHERTON: And, and we were
24 concerned enough, going back several years, about how
25 well this continuous melting would work that we

1 actually had Kodak do this on several slabs for
2 Beamlet, install the slabs on Beamlet, and show that
3 the process worked.

4 DR. MILLER: You might comment on
5 what's the amount of material you have to take off.

6 DR. ATHERTON: Yeah. Well, you know,
7 the, the, the material going into this for this
8 process to work efficiently, it still has to have a
9 transmittal wavefront of a wave or better. So we're
10 talking about taking off, going from one wave, which
11 is order 600 nanometers, this is a wave at Heaney
12 (phonetic), down to, you know, a-sixth of a wave,
13 which is on the order of 100 nanometers.

14 So we're talking about taking off, you
15 know, a few hundred nanometers of glass. It's not a
16 lot of glass, and we're talking about very tight
17 specifications.

18 DR. WARLAUMONT: How tight do they have
19 to be?

20 DR. ATHERTON: I'm sorry?

21 DR. WARLAUMONT: You're talking about
22 taking these things down to a-tenth of a wave?

23 DR. ATHERTON: Sixth of a wave at
24 Heaney.

25 DR. WARLAUMONT: A Heaney wave?

1 DR. ATHERTON: Yeah. Okay.

2 DR. MOSES: So everyone is talking
3 about thousands and thousands, you know,
4 thousand-thousandths of atoms, right? Angstroms.
5 Just Angstroms.

6 DR. ATHERTON: So, so this is what
7 we're doing in transitioning this continuous melting
8 technology from development into production. In '98,
9 okay, this was a big step for us.

10 In '98 we actually proved in the
11 development campaign that you could melt,
12 continuously melt glass at full size. Okay? That
13 hadn't been done before for this phosphate laser
14 glass, which is a tough glass to melt.

15 Okay, in the pilot last fiscal year
16 we've proved out the production rate and the cost.
17 Okay?

18 And to be honest we had hoped that we
19 would also be proving out the yield to
20 specifications. These two areas that we talked
21 about, we were not able to prove that, so we are
22 going to do follow-on campaigns this year, second
23 pilot, with a goal of proving the yield to
24 specification, and then moving on to production.

25 The other thing I also want to show

1 you, again to put it in context, because this whole
2 program up through this point right here was cost
3 shared with CEA, because CEA, as you know, is
4 building its own laser. They are planning on
5 building a 240-beam laser comparable to NIF, larger
6 than NIF.

7 And so, and we've done all of this
8 planning jointly with CEA. And it's been a, a very
9 good collaboration.

10 And so again, what we are doing now
11 with CEA is, is strategizing with them how our second
12 pilot and our production will transition into their
13 production for the megajoule. So again, they aren't
14 the only ones that are acutely interested in how well
15 these, these laser glass companies are doing, and
16 we're working with them to make sure that not only
17 will we have enough glass, you know, that, that will
18 work well for NIF, but also their laser megajoule
19 project.

20 A SPECTATOR: What does "CEA" stand
21 for?

22 DR. ATHERTON: It's --

23 A MEMBER: It's the --

24 DR. ATHERTON: It stands --

25 A MEMBER: -- the French DOE.

1 DR. ATHERTON: It's the French DOE.

2 A MEMBER: Tommy guns.

3 DR. ATHERTON: Oh, okay.

4 A MEMBER: They're building a NIF in
5 France?

6 DR. ATHERTON: Oh, okay. Thanks.

7 A MEMBER: Megajoule.

8 DR. ATHERTON: Laser megajoule, okay?

9 So --

10 DR. VOGT: Remember, they need
11 independence.

12 DR. MOSES: Yeah. Only the French.

13 DR. ATHERTON: So, okay. So that's the
14 laser glass itself, but once you've continuously
15 melted all this laser glass, you're a long way from
16 having slabs that you can install on NIF.

17 So Zygo, in Middlefield, Connecticut,
18 expanded its fabrication facilities for finishing the
19 NIF amplifier slabs, and it also turned out to be
20 cost-effective to have Zygo also finish the mirrors
21 and polarizers. So they have also kind of a
22 30,000-square-foot facility for doing the NIF
23 amplifier slabs, mirrors, and polarizers.

24 The heart of their system are these
25 ring polishes. They've built and installed all of

1 their finishing equipment.

2 And this, this is a 168-inch, what they
3 call a ring polisher. The rest of the industry calls
4 it "continuous polisher," but, and they use that for
5 the final figuring.

6 The 168 inches, if you're you're
7 quickly working it out, that's 14 feet in diameter.
8 Okay? That's an enormous thing.

9 What you're seeing here is just the
10 part of it that's above ground. Actually most of it
11 sits down in a pit below ground level, okay?

12 These were enormous, enormous machines.
13 They can fit six amplifier slabs on the machine at
14 the same time.

15 Again, Zygo, in its development
16 program, has done a lot of work to develop a very
17 efficient technology for bringing this glass into
18 final figure requirement, but the issue is that the
19 homogeneity has to be able to meet spec in order for
20 Zygo to be able to meet spec. This having Kodak's
21 small-tool technology is what gives us the ability to
22 accept, to effectively get glass much less
23 expensively than we would otherwise.

24 So that's their finishing technology.

25 DR. WARLAUMONT: Who comes first, Kodak

1 and then Zygo in the process?

2 DR. ATHERTON: No. What would happen
3 is that, if we had glass that we said, "Okay, it, it,
4 it doesn't quite meet the homogeneity requirement,"
5 what we would do is actually send that to Zygo, have
6 them apply the edge cladding, do the grinding and
7 finishing down to about a wave, okay, and then
8 they're done.

9 So they, they can't make the sixth wave
10 requirement with their technology, so they would take
11 it to a wave, send it on to Kodak, where Kodak would
12 do the final small-tool figuring, and then it would
13 be delivered to NIF. So, it would go, it would go
14 the glass companies, Zygo, Kodak. Yeah.

15 DR. VOGT: The process was used in the
16 keck (phonetic) also.

17 DR. ATHERTON: Yeah. Exactly right.

18 Okay. So Veeco, which actually
19 purchased Wyco several years ago, but it's now Veeco,
20 and Zygo have built and installed 24-inch
21 phase-modulating interferometers for in-process
22 inspection and QA of the NIF optics.

23 There are ten of these 24-inch
24 interferometers that have been built for NIF. This
25 is one of them, actually at Zygo.

1 So now I want to talk just, just
2 briefly about the mirror and polarizer coatings.
3 These coatings will be made at, I mentioned earlier,
4 a combination of Spectra-Physics and LLE using very
5 highly deterministic deposition technology.

6 This is a picture of LLE coating
7 chamber opened up. The, the substrates are mounted
8 up here in this planetary where they're rotated along
9 this axis and then also around here.

10 About 1,600 mirror and polarizer
11 coatings will be deposited on roughly 400 square
12 meters of BK-7 glass.

13 DR. VOGT: Where else is being done by
14 Spectra-Physics?

15 DR. ATHERTON: Down in Mountain View.

16 Okay, and again as part of their
17 technology development program they've developed
18 wide-band optical monitoring and, and realtime error
19 detection in the coatings on the optics themselves so
20 that they can also do realtime error correction, and
21 even reoptimize the coating design based on any
22 errors that may have been introduced on previous
23 steps.

24 So both LLE and Spectra-Physics believe
25 that they will get yeilds in excess of 90 to 95

1 percent for all of these mirror and polarizer
2 coatings.

3 A MEMBER: These are all hard coatings,
4 now?

5 DR. ATHERTON: They're all electron
6 beam coatings, EB.

7 So now on to the fused silica optics.
8 Livermore and the semiconductor microlithography
9 industry both are driving fused silica and lens
10 manufacturing technologies. This explosion several
11 years ago in the demand for fused silica for
12 microlithography drove Corning to do a lot of
13 internal R&D that supplemented some R&D that we had
14 there in order to significantly improve their fused
15 silica manufacturing process, and to the point where
16 we actually last year negotiated a fixed-price
17 contract with Corning for all of the NIF fused silica
18 at our cost goal, okay?

19 So that has been an extremely
20 successful program that Corning executed. Tinsley,
21 and it was bought by the Silicon Valley Group, so
22 it's now SVG-Tinsley, will be fabricating the, the
23 fused silica blanks into lenses and, and windows.

24 Here's a picture of one of the first
25 fused silica transport spatial filter lenses. And I

1 know it doesn't look like a lens, but remember, these
2 have very long focal lengths, so.

3 And we need about 2,500 of these with
4 more than 12,000 liters of fused silica. And like
5 the glass companies and Zygo, the SVG-Tinsley has
6 completed construction of about a 30,000-square-foot
7 facility up in Richmond for making the lenses and
8 windows.

9 There's a nice picture of it. And
10 they're actually operating their equipment.

11 They've got their stuff all installed
12 and they're operating it for the lens window, lens
13 and window pilot production. This is a picture of
14 their computer-controlled optical surfacing machine,
15 what they call CCOS, for surface figuring.

16 Tinsley has technology very similar to
17 Kodak's. They use subaperture tools for doing final
18 figuring of their optics.

19 Again, it's deterministic, efficient,
20 and it's very cost-effective. So that's fused
21 silica.

22 I'd like to move on now to crystals.
23 Single crystal boules of KDP and deuterated KDP,
24 which is, we call DKDP, will be grown for NIF using
25 rapid-growth technology.

1 Ed showed a picture of this yesterday.
2 The technology several years ago as it came over from
3 Russia, you could make crystals this big. You could
4 hold them in your hands.

5 Okay, it took us several years, but we
6 have successfully demonstrated that you could grow
7 crystals of this size, 5- to 600 pounds, that meet
8 the NIF requirements, using this technology. Okay?

9 DR. VOGT: You will grow them in-house?

10 DR. ATHERTON: That's not our plan.

11 And in fact, again, going back to our mission is to
12 develop the technology and get it out into industry.

13 DR. VOGT: Do you have to send the lady
14 along to get that?

15 DR. ATHERTON: No, we don't. No, we
16 don't.

17 In fact, if she had to be everywhere
18 all the time we'd have real trouble. And I'll speak
19 to that in just a second.

20 So we've had, I think, two remarkable
21 successes in this program. The first one is the
22 title, that the rapid-growth pilot production has
23 produced 25 percent of the full NIF system needs.

24 Here's a picture of, of two of our
25 crystallizers installed at Livermore. But I think

1 even more successfully than that is that we've
2 successfully transferred the rapid-growth process to
3 Cleveland Crystal and Inrad, who are already world
4 leaders in commercial crystal growth.

5 So both companies are today able to
6 grow these rapid-growth crystals using this
7 technology. And in fact, Inrad made a little splash
8 a couple of months ago.

9 Here's a cover of Laser_Focus_World

10 with a picture of 600-pound crystal, okay? This was
11 grown by Inrad at Inrad with their crystalizer that,
12 that was installed at Inrad in the background, with
13 another crystal growing in it.

14 So that's the crystal growth. Once
15 those boules are grown, though, you're not done.

16 You have to actually finish them. This
17 is showing the doubler configuration.

18 There's three different configurations
19 within a NIF boule: The pockel cell, it's a Z cut,
20 the axis running this way; the, the doubler is tipped
21 41 degrees and clocked 45 degrees within the boule.
22 This is a doubler. Tripler is just tipped 59
23 degrees.

24 Okay, so, so what we, so we start with
25 a boule that's on the order of 55 centimeters cubed,

1 about 500 pounds, and we need to get, as Ed English
2 spoke about, roughly 41-by-41-by-roughly
3 one-centimeter thick plates. And depending on how
4 these crystals lay out in the boule, depending on the
5 orientation, you get somewhere on the order of
6 between five to 15 plates out from each boule.

7 And of course these plates have very
8 tight requirements for orientation, for flatness, and
9 for smoothness. So the two machines toward the end
10 of the process are particularly important.

11 We've built a prototype, KDP flatness
12 machine, and it has met the NIF performance goals.
13 This is a picture of that, that prototype with a
14 block up on, on top.

15 It's got a vertical spindle diamond
16 tool on a, on a flight cutter. And this prototype,
17 this actual prototype will be converted to the first
18 production machine by an industrial partner.

19 So Livermore has, has expertise in
20 precision engineering. We apply that expertise to
21 come up with a process and the machine tool that
22 would meet the requirements.

23 We'll now have it outfitted into an
24 industrial machine by, by a partner, and also it will
25 build, that partner will build a second machine as

1 well. So that's, that's the, what we sometimes call
2 the semifinishing machine, or the flatness machine.

3 Moore Tool Company is building the
4 final finishing machine. It's actually here at
5 Livermore undergoing acceptance testing.

6 We've just done preliminary acceptance
7 testing, but it indicates that that machine will meet
8 the NIF crystal surface roughness requirements. And
9 what you're actually looking at here, again this is a
10 spindle.

11 This is a horizontal spindle. There's
12 a flywheel you can't see, fly cutter going this way.
13 The part is mounted on a vacuum truck and it
14 traverses back into the board that way.

15 This is a copper test part, full-sized
16 copper part that, that was machined to 3.2 nanometer
17 surface roughness, okay? And this is just data
18 that's from last week, so we're kind of excited about
19 that.

20 Okay, so I've taken you now through
21 laser glass and amplifier slabs, mirror and polarizer
22 coatings, lenses and windows, and through the
23 crystals. I want to just take the last few minutes
24 here and talk to you about the on-site processing.

25 The NIF optics will be cleaned in the

1 Optic Processing Development Laboratory. We call it
2 OPDL.

3 This is over in Building 391 West. We
4 have a 10,000-square-foot facility for doing the
5 glass optics.

6 These are automated aqueous cleaners
7 for the glass optics built by JST. This is in the
8 old Shiva bay, okay, for those of you who know
9 Livermore.

10 It's about 10,000 square foot of Class
11 100 cleanroom space for doing the glass optics.
12 Across the hall we have about 3,000 square foot that
13 will be used for the crystal optics.

14 Forward Technologies has built an
15 automated nonaqueous system for precision cleaning of
16 the the crystals. So after the, after the, the
17 optics are cleaned, then the fused silica and crystal
18 optics then beyond that get a sol-gel antireflection
19 coating.

20 And that will be done for the fused
21 silica coatings in a dip coater built by Chemat. The
22 crystal coatings will be done on a spin coater built
23 by Karl Suss.

24 This is actually an adaptation of, of a
25 photoresist spin coater that Suss built for the

1 semiconductor industry.

2 So just to conclude it, we've got
3 production facilities that are complete and
4 operational. And we've really tried to draw on the
5 best, not just of the U.S., but of the world.

6 We're getting optical components,
7 including some of the, the BK7 substrates from Ohara
8 and Pilkington up in North Wales. Our technology
9 and facilitization program is still on track, and we
10 expect full pilot validation this fiscal year.

11 That's still what we expect to, to
12 achieve. So, with that I'd be happy to answer any
13 questions.

14 THE CHAIR: Questions?

15 DR. VOGT: I had a question maybe which
16 isn't fair to ask you, but maybe I should ask Ed.
17 What kind --

18 THE CHAIR: We don't have to be fair.

19 DR. VOGT: You have to be to the
20 individuals.

21 THE CHAIR: It doesn't say that in the
22 Charge.

23 DR. VOGT: Aah, okay.

24 But my question is: What kind of major
25 R&D activities are going on which relate to the

1 project, and to what extent are they under your
2 jurisdiction, and to what extent are they outside
3 your jurisdiction?

4 DR. MOSES: Under the new organization,
5 as Bruce Tarter talked about it yesterday, all, all
6 of it is under my jurisdiction.

7 DR. VOGT: It will all be under yours?

8 DR. MILLER: Let me just comment that
9 that, yeah, that has not, has not continuously been
10 the case under the project, --

11 DR. VOGT: Yeah.

12 DR. MILLER: -- but that is the case
13 now.

14 DR. VOGT: For the future. Yeah, but
15 what are the major R&D efforts underway right now?

16 DR. MOSES: Well, as we keep hearing,
17 you know, 3 Omega damage is the major R&D.

18 DR. VOGT: Yeah. That's the major.

19 DR. MILLER: And the problem with
20 answering the question, just to be careful, is what
21 do people mean by R&D, you know?

22 DR. VOGT: Yeah.

23 DR. MILLER: I mean, as, as Ed said, he
24 doesn't think he has any R&D issues going. In other
25 industries people would judge some of the things he's

1 doing as, as R&D-ish.

2 I think the basic problems we have are
3 material issues at 3 Omega that, from the point of
4 view of the project, I'm not talking about the point
5 of view of the ignition --

6 DR. VOGT: Yeah.

7 DR. MILLER: -- or target design --

8 DR. VOGT: Yeah.

9 DR. MILLER: -- or fabrication.

10 DR. VOGT: Yeah.

11 DR. MILLER: I think there's a huge
12 amount of system engineering issues that have to be
13 taken on. I understand the cleanliness, you know,
14 the phenomenology of cleanliness.

15 We're doing that carefully. But, you
16 know, when you, when you come to the, to the nub, the
17 damage, the 3 Omega damage is what we're interested
18 in understanding better.

19 THE CHAIR: What's your philosophy with
20 respect to spares?

21 DR. ATHERTON: We're planning to have
22 about two-percent construction spares to allow for
23 any, any issues in bringing up the laser. Then we
24 plan to have, take these same companies that are
25 doing the production for the construction project,

1 and as for Nova, those same companies would supply
2 optics, any replacement optics needed to support
3 operations.

4 And they would be follow-on contracts
5 funded by the Operating Program in order to enable
6 operations.

7 THE CHAIR: So, so they will keep
8 themselves facilitized?

9 DR. ATHERTON: That's, our plan is that
10 those facilities will stay useful through, really
11 through NIF operation, 20, 30 years.

12 THE CHAIR: Uh-huh. Uh-huh.

13 DR. MOSES: I think it's important to
14 realize and, you know, hopefully we'll get to talk
15 about this some other time in the, in the deployment
16 logic. You know, NIF does not exist at one second.
17 It exists, it becomes into existence over years.

18 And the issue of when you're operating
19 and when you're building it are, are sort of, you
20 know, not easily separated, so therefore, the issue
21 of spares in, in, in turning it on are really issues
22 of operating, operating the laser, and just running
23 the laser.

24 It's going from one bundle to two to
25 six to 12 to 24 bundles, and it will be operating and

1 being maintained while it's going through that whole
2 time period.

3 THE CHAIR: Humm. My concern was that,
4 you know, you have a fair number of things that are
5 unique, and the, the suppliers out there are not all
6 the most stable companies in the world. You know,
7 it's not like General Motors.

8 You can't predict that they're going to
9 be here 30 years from now with any certainty. That's
10 what was my, what was driving my question.

11 DR. ATHERTON: Uh-huh. Yeah. Well,
12 in, in -- Two things.

13 One is I think that it's very hard to
14 speculate about, you know, companies, you know, going
15 out of existence. That is highly speculative.

16 THE CHAIR: Humm.

17 DR. ATHERTON: The thing that I would
18 say is that these companies may also participate in
19 doing production for the megajoule laser. CEA is
20 interested in utilizing whatever excess capacity that
21 there may be at these companies for building its
22 project, which goes into 2008 or thereabouts.

23 THE CHAIR: Uh-huh.

24 DR. ATHERTON: Also this, this
25 equipment, the vast majority of this equipment was

1 GFE. You know, it takes money to take, I'm sorry,
2 government-furnished equipment.

3 DOE owns it. So in other words, let's
4 say that a company decided that it was going out of
5 business or getting out of this business or whatever.

6 You know, for, for a finite amount of
7 money we can actually take that out and set up other
8 companies in order to do that production, so yeah.

9 DR. VOGT: It's been done by, by people
10 like me before that we have operated a company which
11 was bankrupt until our product was out of the door
12 and into production.

13 DR. MOSES: I think there's another
14 issue here. I think that Jeff is understating.

15 You know, he talks about the
16 semiconductor industry and the optics industry. You
17 know, these industries are not shrinking industries.

18 It's really booming. And I think
19 there's a lot of future in this.

20 DR. PAPAY: But to what extent are you
21 the sole contract, or what fraction of their
22 capability are you for what period of time over time?
23 In other words, if you're 80 percent of, of their
24 production during the next X years and then you drop
25 off and there's nobody coming in behind, maybe CEA --

1 DR. ATHERTON: Yeah, I can speak to
2 that. We, you know, we, we are, the smallest company
3 that we work with is Cleveland Crystals, sort of a
4 50-, 60-man operation. And even at that, NIF will be
5 no more than a-quarter of its business, okay?

6 And that's, that, that pegs the high
7 end. And it can be, it can be somewhat less than
8 that.

9 You know, these other companies --

10 DR. PAPAY: Wait. When you say 25
11 percent of their business, in that facility or in
12 their business as a whole?

13 DR. ATHERTON: No, in that facility.

14 DR. PAPAY: Okay.

15 DR. ATHERTON: Yeah. So, so even for
16 the smaller companies, NIF doesn't come anywhere
17 near, you know, 50 to 80 percent of that company's
18 business.

19 And wherever we can, we have set up
20 backup capabilities so that if we have production
21 problems at one particular company, that we've got
22 enough capacity at other companies able to do that
23 same kind of work to take care of, of, you know,
24 schedule, any schedule issues.

25 We've also planned for only five-day

1 operations. You know, we have, we can go to, you
2 know, full, you know, seven-day, three-shift
3 operation at any of these companies to take care of,
4 of, of potential, you know, short-term interrupts.

5 And you guys are absolutely right.
6 And, and, you know, if you take a five- to 20-year
7 horizon companies, they get bought, they get sold,
8 they take on, you know, different initiatives, but
9 it's been stable.

10 You know, we've been working with the
11 same basic set of companies for 20 years. You know,
12 there will be some amount of turnover, but I think
13 we've got the kind of capacity and flexibility in
14 trying to make sure we've got backup companies in
15 order to take care of it.

16 THE CHAIR: Any other questions?

17 (Whereupon, no response was had.)

18 DR. ATHERTON: Thanks a lot.

19 (11:13 a.m. PT)

20 THE CHAIR: We're now ready for public
21 comment period. I would ask each speaker to identify
22 his or her affiliation, and please keep your remarks
23 to five minutes per speaker.

24 First speaker is Stephen Kelley.

25 PUBLIC COMMENT PERIOD:

1 MR. KELLEY: Where do I -- Go up there?

2 THE CHAIR: Right there.

3 MR. KELLEY: So there's five minutes?

4 THE CHAIR: Yes.

5 MR. KELLEY: First of all I want to
6 thank you for this opportunity to have a public
7 hearing. My name is Stephen Kelley, and I'm a
8 tax-paying, tax-paying citizen.

9 I live in Oakland. I'm a high school
10 teacher and a co-founder of the Oakland Hanover Echo
11 Village and a member of Tri-Valley CARES and a human
12 being, hopefully exploring.

13 And I'm interested in life. And I
14 wrote this poem to give another perspective to what's
15 happening here.

16 NIF: Let's redesign reality and say
17 no. This moment is. We choose to live, expand, or
18 contract, contract and die moment by moment, not
19 really knowing we can choose to explore.

20 Life is technology and economics.
21 Technology and economics need honor and applause.

22 Thank you. And ecology, arts, a spirit
23 of wonder, these are all dancing, expanding community
24 of mystery.

25 NIF is attempted, deceptive, fear

1 control. The old white patriarchal pharocey
2 priesthood of control in new scientific. The emperor
3 has no clothes.

4 NIF, nifty alovescent attempted
5 control. The world's most powerful laser with 50
6 times more energy than our enemies. One hundred
7 ninety-two laser beams penetrating, ejaculating into
8 reality's nuclear woumb.

9 Guilla defiled, screaming into the very
10 heart of the stars.

11 Is life control controlled ecstasy or
12 the ego beyond control, male personality's wet dream
13 come true. To what end?

14 Exhaustion, anger, anxt beneath a happy
15 face. Wild nosis is always beyond control.

16 NIF is a death wish against, against
17 whoever is not White, rich, nice, normal insanity,
18 fantastic technocratic, mini-brained thrusting to go
19 beyond human helplessness, hopelessness.

20 There is no hope. Nothing works.
21 Experiment. Feel the helplessness, the hopelessness.

22 Experience what is this moment, not
23 knowing, disarmed. There, there is where life lives.
24 Who am I? Who am I really this moment?

25 Is it possible I am at my deepest

1 nuclear core? Is it possible I am who am already?

2 Ready to step into the maturity of
3 mystery or NIF. Nagasaki, Livermore, nuclear
4 deserts, exploding, imploding, human hearts."

5 And I want to end with just 20 seconds.

6 (Playing a flute.)

7 Thank you.

8 THE CHAIR: Thank you.

9 Next is Jacquelin Cobasso (phonetic).

10 MS. CABASSO: Thank you. My name is
11 Jackie Cabasso. I'm the Executive Director of the
12 Western States Legal Foundation in Oakland.

13 First I have a couple of questions for
14 the Department of Energy, then a comment for the
15 Panel.

16 In the most recent Green_Book the
17 Department of Energy Defense Program's Fiscal Year
18 2000 Stockpile Stewardship Plan, a Memorandum of
19 Understanding between the Department of Energy and
20 the Defense Threat Reduction Agency is described as
21 follows:

22 Quote, to ensure the implementation of
23 design features required for weapons effects testing
24 on the National Ignition Facility. Some types of
25 experiments discussed include ones that would use a

1 lithium hydride atmosphere.

2 So my questions are: How would
3 operating the NIF at lower energies, as has been
4 speculated here, affect plans for conducting weapons
5 effects experiments, including those using exotic
6 materials? Would it make early use for weapons
7 effects experiments more or less likely?

8 Along the same lines, would operating
9 the NIF at lower energies make experiments of any
10 kind employing plutonium or uranium more or less
11 likely?

12 The language used here yesterday by
13 laboratory representatives to describe the Stockpile
14 Stewardship Program represented a notable departure
15 from past Lab rhetoric, and some of it was
16 refreshingly honest. For example, Gilbert Weigand
17 stated, "This is how we maintain our nuclear weapons
18 superpower status."

19 This perception, I might add, is shared
20 by most countries around the world.

21 However, some of what was said was
22 frankly startling. It seems that justification for
23 the NIF is constantly expanding.

24 George Miller at one point even
25 suggested that NIF experiments would be critical to

1 certify specific weapon types such as the W80 at some
2 point in the future. I wonder if this new assertion
3 was meant to send a message that the Lab would be
4 prepared to recommend the reassumption of underground
5 testing if this panel in any way were to put the
6 brakes on NIF. And I hope that's not the case.

7 Unless many top nuclear weapons
8 designers and policymakers have been misleading us
9 for some time, existing nuclear weapons can be
10 maintained in a safe and reliable state for some time
11 in the future using equipment and technology which
12 already exists.

13 Further, the manufacture of serviceable
14 thermonuclear weapons presents no real technical
15 problems for the United States and has been
16 well-understood for decades. For example, in 1978,
17 long before the NIF and current levels of computing
18 power were even imaginable, three weapons experts,
19 Norris Bradbury (phonetic), Carson Mark (phonetic)
20 and Richard Garwin (phonetic), wrote to President
21 Jimmy Carter, quote, we believe that the Department
22 of Energy, through its contractors and laboratories,
23 can, through the measures described, provide
24 continuing assurance for as long as may be desired of
25 the operability of the nuclear weapons stockpile in

1 the absence of the underground testing.

2 Bradbury, Mark, and Garwin apparently
3 were convinced in 1978 that weapons safety and
4 reliability could be assured employing then existing
5 testing capabilities.

6 Finally, although it is beyond the
7 official scope of this panel's purview, I would ask
8 you to consider, especially in light of Mr. Weigand's
9 remarks about how we can remain a nuclear weapons
10 superpower, the potential role of the NIF, if it
11 continues to go forward in further destabilizing the
12 nuclear nonproliferation treaties and the
13 nonproliferation regime in general.

14 Perhaps the questions that have been
15 raised about cost overruns, construction delays, and
16 design flaws, provide us with a, an opportunity to
17 fundamentally reconsider this ill-advised project,
18 and to stop it while we still can.

19 Thank you for your consideration. I
20 have a written copy of this comment to leave, and
21 also a copy of our analysis of Why Stockpile
22 Stewardship is Fundamentally Incompatible with the
23 Process of Nuclear Disarmament I'd like to leave with
24 you.

25 THE CHAIR: Thank you very much.

1 Next is Marylia Kelley.

2 MS. KELLEY: Hi, I'm Marylia Kelley,
3 and I'm still Executive Director of Tri-Valley CARES,
4 and still live on East Avenue. There are a couple of
5 things that I wanted to do today.

6 One, I wanted to talk a little bit
7 about sort of the charge of the panel, which I didn't
8 get an opportunity to yesterday. And I recognize
9 that your charge is somewhat limited, but one of the
10 problems, in my opinion, with some of the external
11 advisory boards that have gone on before, in addition
12 to them being a little ins-, too insular and too cozy
13 and in some cases having conflict of interest, is
14 just the problem that incredibly smart people were
15 brought together to answer the wrong questions, and
16 they limited themselves to just answering those
17 questions narrowly.

18 So, I'm hoping that this panel
19 considers part of its charge the ability to go to the
20 Secretary and say, "We're not quite configured to
21 give you final answers on what some of the underlying
22 technical problems are, but, Mr. Secretary, we feel
23 that the NIF's problems do go beyond management
24 issues and system integration issues," although, you
25 certainly won't get any argument from me that there

1 are some serious problems there, but that they also
2 have underlying technical problems that are not yet
3 resolved, and that may continue to be intractable,
4 and that you would recommend to the Secretary to look
5 into them very specifically.

6 To just take the amplifier glass as
7 one, the demonstration showed you that they
8 determined in 1998, last year, that they could pour
9 enough. Now, remember, this is a facility that began
10 construction funding in '95-'96, and now they know
11 they can pour it, but they can't get it to spec yet.

12 And again, these are some issues that
13 should have been more fully explored in R&D, and
14 really still in some cases need to be. And I know I
15 don't have time to go through my list of ten again
16 and tell you where they're at, but I can provide
17 further information on any of those if you would like
18 to ask.

19 The other thing is I do think that this
20 group can recommend to the Secretary that a serious
21 look be taken at the, quote/unquote need for the
22 National Ignition Facility. Its centrality to
23 stockpile stewardship is more a function of its size
24 and cost than of any real mission for maintaining
25 safety and reliability in the existing nuclear

1 arsenal.

2 And with, with respect to that, and
3 going back to the fact that yesterday I promised you
4 some data from the DOE Surveillance and Evaluation
5 Program which is headquartered out of Sandia, here is
6 the actual data from 30 years of the stock-, of
7 weapons in the stockpile. And you'll notice it
8 doesn't look like the bathtub that George Miller
9 presented in the viewgraphs that you got yesterday.

10 Most of the, the, these are the number
11 of defect types. Most of the defects are in the
12 first three years.

13 They're mostly production defects, and
14 then you get one or two to five to seven things that
15 you need to fix each year. The post-DAHRT-II arsenal
16 is right here in the 15- to 17-year timeframe where
17 you have to do one to five fixes a year.

18 You'll notice that that stays constant.
19 At year 27 there are five fixes. Between Year 27 and
20 30 there's one fix, none of which had anything to do
21 with aging.

22 and the summary that Sandia provided
23 says basically nuclear weapons age but they do not
24 wear out. You, you need to maintain them, but DOE
25 has the program, has the personnel, has the

1 facilities that it needs to do that job.

2 So I will give this to Betsy to make
3 copies. And I've one final question which Ed might
4 want to answer in realtime.

5 When they were talking about the
6 construction spares, you said that's an operating
7 issue. Does that mean that it's not in the project
8 budget; it's in the operating budget?

9 DR. MOSES: I don't know the rules, so
10 I don't choose to answer.

11 THE CHAIR: No, it's up to you.

12 DR. MOSES: That's, that's a question,
13 and what's in project budget and what's in the
14 operating budget is a serious question that I hope
15 you folks ask about each and every thing, because
16 I've been told by employees that a lot of the cost
17 overrun has been covered up to date by cycling things
18 out of the project budget into the operating budget.

19 But the operating budget that was
20 presented to Congress was \$115 million a year, and if
21 you look at the Nova figures, they were running at
22 about \$80 million a year. So I have some questions
23 that if even everything were perfect, is the
24 operating budget for NIF big enough?

25 And with these serious problems, the

1 \$300 million cost overrun may be, in fact, just the
2 beginning of what's in fact really there. So I'm,
3 I'm hoping that you'll ask some questions about where
4 some of these things are in the budget and take a
5 look at what the final cost overrun may be.

6 I have --

7 THE CHAIR: Thank you.

8 MS. KELLEY: Okay, thank you. I have
9 one final thing to leave with you, which is a NIF
10 book that our group did, and a joke.

11 There are two typos in here. Nuclear
12 weapons used to be the bane of my existence, and
13 since we started publishing things, typos now are.

14 THE CHAIR: Okay, thank you.

15 Is there anyone else who wishes to make
16 a comment?

17 (Whereupon, no response was had.)

18 THE CHAIR: Before we conclude this
19 meeting I want to thank some of the people who
20 helped, helped make this easy for us, and
21 comfortable, and a us-, very productive process.

22 In the Protocol Office certainly
23 Kathleen Moody and Shirah Jones; Lasers and National
24 Security, Charlene Morris, Corinne Ybarra, kathy Cruz
25 Glasgow, dustin Riggs and Jennifer Peterson, and

1 Steve Simpson and Terry Strahl. And we certainly
2 appreciate all that was done for us, and we look
3 forward to the opportunity of our next visit.

4 Thank you all very much, and we are
5 adjourned.

6 (Whereupon, at 11:29 a.m. PT the above
7 meeting was adjourned.)

8 I certify the foregoing to be a
9 true transcript from my notes.

10

11

CSR, CP, RPR

12

13

CERTIFICATION

14

I, Dorothy I. Bunn, a Registered

15

Professional Reporter, Certified Conference Reporter,

16

and Notary Public, do hereby certify that the

17

foregoing testimony was duly taken and reduced to

18

writing before me at the place and time therein

19

mentioned. I further certify that I am neither

20

related to any of the parties by blood or marriage,

21

nor do I have any interest in the outcome of the

22

above matter.

23

In witness whereof, I have hereunto set

24

my hand and affixed my official seal, at Livermore,

25

1 California, USA, this 16th day of November, 1999.

2

3

Notary Public

4

My Commission expires November 17, 1999.

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

A_P_P_E_N_D_I_X

- - - - -

e-mail Message from Per Peterson, Professor,
Department of Nuclear Engineering, UC Berkeley dated
15 November 1999:

Per F. Peterson, 11-15/99 1:22 PM -0800, Public
Comment Input for SEAB NIF Task Force

Mime-Version: 1.0

X-Sender: peterson@nuc.berkeley.edu (Unverified)

Date: Mon, 15 Nov 1999 13:22:29 -0800

To: moody2@llnl.gov

From: "Per F. Peterson" ^peterson@nuc.berkeley.edu^

Subject: Public Comment Input for SEAB NIF Task Force
Meeting

Cc: Bill Hogan ^hogan5@llnl.gov^

Dear Members of the SEAB NIF Task Force:

First please accept my apologies for not personally
presenting these comments, as I had to leave the
meeting in the early afternoon to return to U.C.
Berkeley. I am Per Peterson, a Professor of Nuclear
Engineering at UC Berkeley, and Chair of the Energy

1 and Resources graduate group. My comments relate to
2 the coupling between NIF and graduate education at
3 the major research universities.

4
5 Perhaps the most important goal of the current
6 Stockpile Stewardship program is the recruitment of
7 outstanding young scientists and engineers who will
8 maintain, in the long term, the scientific expertise
9 required for national security. These are the
10 people, who thirty years from now, will sit around
11 tables much as you are today finding solutions to
12 problems of major national importance. Our future
13 will rest on their shoulders.

14
15 Our Nuclear Engineering department is relatively
16 small. Over the last three years, our three
17 brightest domestic PhD recipients have gone to work
18 at the laboratories, two to Livermore and one to Los
19 Alamos. These three young researchers each have
20 outstanding ability, and I am extraordinarily pleased
21 that they decided to take their careers to the
22 laboratories, rather than accept the more financially
23 lucrative opportunities that were available to them
24 in industry. Put bluntly, they came to the labs for
25 the opportunity to work on the grand challenge of

1 inertial fusion.

2

3 NIF plays a central role in the recruitment and
4 training of new scientists and engineers for the
5 labs. From this perspective, by far the most
6 important goal for NIF is ignition. Ignition is the
7 grand challenge, the primary vision, that attracts
8 students. My request to the Taks Force is to
9 communicate the key importance of the ignition goal.
10 Here there are two primary issues. The first is to
11 support the efforts to achieve symmetric light in NIF
12 at the earliest date possible, because symmetric
13 light allows earlier exploration of capsule symmetry
14 issues. The second is to emphasize the importance of
15 keeping sufficient total laser energy to provide a
16 substantial marign for ignition.

17

18 It is difficult to overemphasize the importance of
19 your task to recommend the optimal path to bring NIF
20 on line successfully. Please accept my best wishes
21 for success in your upcoming work.

22

23 Best regards,

24

25 Per Peterson

1

2 Printed for Kathleen Moody ^moody2@llnl.gov^

3

4 Per F. Peterson, 11/14/99 1:22 PM -0800, Public

5 Comment Input for SEAB NIF Task Force

6

7 Per F. Peterson

8 Professor Chair

9 Dept. of Nuclear Engineering Energy and Resources

10 U.C. Berkeley Group

11 4111 Etcheverry Hall U.C. Berkeley

12 Berkeley, California 310 Barrows Hall

13 94720-1730 Berkeley, California

14 peterson@nuc.berkeley.edu 94720-3050

15 Office: (510) 643-7749 Fax: (510) 643-9685

16 <http://www.nuc.berkeley.edu/dept/peterson.html>

17

18

19

20

21

22

23

24

25

1 Tri-Valley CARES Handout: Report Extract and
2 Viewgraphs entitled "A Summary of the SNL Stockpile
3 Life Study," dated December, 1993

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1 Tri-Valley CARES Handout: Report by Paul Carroll
2 entitled "The National Ignition Facility: Flawed
3 Rationale, High Cost, and Security Risks," dated
4 September, 1998

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1 Western States Legal Foundation Handout: Report by
2 Andrew Lichterman and Jacqueline Cabasso (WSLF)
3 entitled "A Faustian Bargain: Why Stockpile
4 Stewardship is Fundamentally Incompatible with the
5 Process of Nuclear Disarmament," dated April, 1998.

6

7 Comments to the Secretary of Energy Advisory Board

8 National Ignition Facility Task Force

9 Lawrence Livermore National Laboratory, Nov. 16, 1999

10 Jacqueline Cabasso, Executive Director

11 First I have a couple of questions for DOE,
12 then a comment for the panel. In the most recent
13 "Green Book," the DOE Defense Program's FY 2000
14 Stockpile Stewardship Plan, a Memorandum of
15 Understanding between the DOE and the Defense Threat
16 Reduction Agency is described: "to ensure the
17 implementation of design features required for
18 [weapons] effect testing" on the National Ignition
19 Facility (P. 7-27). Some types of experiments
20 discussed include ones that would use a lithium
21 hydride atmosphere. How would operating the NIF at
22 lower energies affect plans for conducting weapons
23 effects experiments, including those using exotic
24 materials? Would it make early use for weapons
25 effects experiments more or less likely? Along the

1 same lines, would operating the NIF at lower energies
2 make experiments of any kind employing plutonium or
3 uranium more or less likely?

4 The language used here yesterday by
5 Laboratory representatives to describe the Stockpile
6 Stewardship Program represented a notable departure
7 from past Lab rhetoric, and some of it was
8 refreshingly honest. For example, Gilbert Weigand
9 stated: "This is how we maintain our nuclear weapons
10 superpower status." (A perception, I might add,
11 shared by most countries around the world.) However,
12 some of what was said was frankly startling. It
13 seems that the justification for the NIF is
14 constantly expanding. George Miller at one point
15 even suggested that NIF experiments will be critical
16 to certify specific weapon types, such as the W-80,
17 at some point in the future. I wonder if this new
18 assertion was meant to send a message that the Lab
19 would be prepared to recommend the resumption of
20 underground testing if this panel in any way were to
21 put the brakes on NIF. I hope not.

22 Unless many top nuclear weapons designers
23 and policy makers have been misleading us for some
24 time, existing nuclear weapons can be maintained in a
25 safe and reliable state for the foreseeable future

1 using technology and equipment which already exists.
2 Further, the manufacture of serviceable thermonuclear
3 weapons presents no real technical problems to the
4 United States, and has been well understood for
5 decades. For example, in 1978, long before the NIF
6 and current levels of computing power were even
7 imaginable, three weapons experts, Norris Bradbury,
8 Carson Mark and Richard Garwin wrote to President
9 Jimmy Carter: "[W]e believe that the Department of
10 Energy, through its contractors and laboratories, can
11 through the measures described provide continuing
12 assurance for as long as may be desired of the
13 operability of the nuclear weapons stockpile in the
14 absence of underground testing." Bradbury, Mark and
15 Garwin apparently were convinced in_1978 that weapons
16 safety and reliability could be assured employing
17 then-existing testing capabilities.

18 Finally, although it is beyond the official
19 scope of this panel's purview, I would ask you to
20 consider -- especially in light of Mr. Weigand's
21 remarks about how we remain a nuclear weapons
22 superpower -- the potential role of the NIF -- if it
23 continues to go forward -- in further destabilizing
24 the Nuclear Non-Proliferation Treaty and the
25 nonproliferation regime in general. Perhaps the

1 questions that have been raised about cost overruns,
2 construction delays and design flaws provide us with
3 an opportunity to fundamentally reconsider this
4 ill-advised project and to stop it while we still
5 can.

6 Thank you for your consideration.

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1 Welcome and Overview: Remarks by Dr. C. Bruce
2 Tarter, Director, Lawrence Livermore National
3 Laboratory, November 15-16, 1999.

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25